

379 Thornall Street, Fifth Floor
Edison, New Jersey
08837-0001

201/906-2400



ICF TECHNOLOGY INCORPORATED

SDMS Document



109836

MEMORANDUM

To: Trevor Anderson
From: Julie Winfield *Julie*
Date: June 20, 1990
Subject: Copies of Transcripts of the Cinnaminson Public Meeting

As per your request, I'm sending you (2) copies of the Cinnaminson Public Meeting Transcript. I will be forwarding the original transcripts to Ann.

If you have any questions, don't hesitate to call me at (201) 603-3728.

007221

UNITED STATES
ENVIRONMENTAL PROTECTION AGENCY

-----:
IN RE: CINNAMINSON GROUND WATER :
 CONTAMINATION SUPERFUND SITE: :
-----:

Transcript of proceedings taken at East
Riverton Community Center, Manor Road, Cinnaminson,
New Jersey, on 5-31-90, commencing at 7:30 p.m.

B E F O R E :

ANN RYCHLENSKI, Public Affairs Specialist, U.S. EPA
CHARLES TENERELLA, Chief, Central N.J. Remedial
 Action Section, Region II
TREVOR ANDERSON, Project Manager, U.S. EPA,
 Region II
WILLIAM MORAN, ICF Engineering

1 MAYOR ELEUTERI: good evening ladies and
2 gentlemen. Tonight we have representatives
3 from the federal EPA to give us a report on
4 the ground water contamination superfund site
5 on Taylor Lane. You will hear representatives
6 from the EPA speak on various areas tonight.
7 I am going to turn the meeting over to Ann
8 Rychlenski, who is the public affairs
9 specialist for the EPA region II and Ann will
10 introduce the speakers. I would like to
11 remind you that tomorrow there will be an
12 availability session between ten a.m. and one
13 p.m. for anyone here, anyone else who is not
14 here who would like to meet members of this
15 team to discuss what's discussed here tonight
16 and to ask any other pertinent questions which
17 you may have. With that, I will turn the
18 meeting over to Ann Rychlenski and she can
19 proceed from there.

20 MS. RYCHLENSKI: Thank you Mr. Mayor and
21 good evening ladies and gentlemen and thank
22 you all for coming out here this evening to
23 this important meeting on the Cinnaminson
24 Ground Water Superfund Site here in
25 Cinnaminson Township, New Jersey. My name is

1 Ann Rychlenski and I am a public affairs
2 specialist and community relations liason from
3 U.S. EPA region II to this superfund site. I
4 would like to introduce the people who are
5 sharing the dais with me tonight and give you
6 an idea what it is they'll be speaking about.
7 To my left is Mr. Charles Tenerella. He's the
8 chief of the central New Jersey remedial
9 action section in region II. To his left is
10 Mr. Trevor Anderson and Trevor is the project
11 manager on this site, also from EPA region II,
12 and to Trevor's left is Mr. William Moran, who
13 is with ICF Engineering and they are EPA's
14 consultants on the Cinnaminson site. I would
15 also like to acknowledge some people who are
16 here this evening. Mr. David Marino of New
17 Jersey American water Company. Mr. Marino,
18 would you let us know where you are please?
19 Also Laurie Perch with New Jersey Department
20 of Health, and Mark Hershberg, New Jersey DEP,
21 Community Relations. Thank you Mark.

22 Just to say a few words about community
23 relations, I am the community relations
24 coordinator for this site. I am basically
25 your contact to EPA region II regarding this

1 site should you have any questions or you want
2 to talk about community needs or sensitivities
3 and how we can be more sensitive to the needs
4 of your community. Please, please come up to
5 me. Feel free to speak to me. I have my
6 cards out here on the table, take one and you
7 can feel free to call me anytime. I am
8 usually around in my office ready to serve.
9 That's what I do. I also want to let you know
10 that there are information repositories here
11 in town that contain all of the documents that
12 are pertinent to this site. Now, we are
13 required by law under superfund to provide
14 these information repositories so the public
15 can come and review them and certainly if you
16 have any questions about how this site is
17 being handled or contaminants that may be
18 found or anything you feel affects your
19 environment or your community, that can be
20 found in those documents and we are required,
21 as I said, by law to have them so you can
22 review them and question us on them. Those
23 repositories are located in town. One is
24 right here at the community center. The other
25 is over at the Cinnaminson Municipal Building.

1 and the other is at the East Riverton Civic
2 Center. So you can go there and avail
3 yourselves of the documents, should you wish
4 to.

5 One other thing is that this evening we
6 do have a court reporter here. The reporter
7 is here to provide an accurate record of this
8 meeting and from the record of this meeting we
9 will put together something called a
10 responsiveness summary, which again we are
11 required to do by law, so that we have
12 community input on exactly how it is we are
13 handling this site and what the remedies are.
14 You are free to comment and we certainly hope
15 you will comment on the plan that's going to
16 be put before you tonight. Those comments
17 should be addressed in writing to Mr. Trevor
18 Anderson, the project manager and the comment
19 period is open through the 15th of June. So
20 make sure that everything you send out is
21 postmarked by June 15th. With that and no
22 further ado, I just want one other thing,
23 since we do have a reporter here, please hold
24 your questions to the end. We will have a
25 question and answer period. When you ask your

1 questions please stand, state your name and
2 place of residence, meaning the town you live
3 in. Please state that clearly so the reporter
4 can get all the information down. We also
5 have sign in sheets over there at the table
6 and if you all please make sure that you do
7 sign in so there is a record of your
8 attendance here and that's how we keep our
9 mailing list so we can keep you updated on
10 what we send out on this site and there are
11 also copies of the proposed plan and a fact
12 sheet on the Cinnaminson site for your perusal
13 and your information. With that, I am going
14 to turn this over to Mr. Charles Tenerella.
15 He will be giving you a general overview of
16 the superfund process, what it is and how it
17 works and also the purpose of this meeting. I
18 thank you again.

19 MR. TENERELLA: Some of you might be
20 familiar with the superfund process and what
21 it is and some may not. So, I would like to
22 go over it in a little bit of an overview of
23 the total superfund program that EPA runs and
24 we will discuss it in the context of this
25 particular site. Superfund was created in

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1980 as a federal response to what was happening at Love Canal, a very famous hazardous waste site in Niagra Falls. The government did not have any kind of enabling legislation, any kind of funding that could be used to clean up hazardous waste sites prior to what became known as superfund. It is kind of a strange title for a piece of legislation. But that's what it is known as. Starting in, after the law was enacted in '80, we started to develop procedures for identifying sites on a national basis that may need to be cleaned up with federal assistance. That can be out of the superfund itself, which is a government funding program to use tax dollars to clean up sites, or to look at responsible parties that we may be able to identify who may have been responsible for the site and have them do the clean up under our oversight and guidance. So, the program was structured that way. Another thing that happened in the early days, again as an outgrowth of Love Canal, was a recognition by EPA of the importance of local public input to the kinds of work that we are doing at the hazardous waste sites.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

because of the kind of impacts it might have on people in the area, both in terms of health concerns people might have and logistical concerns, administrative concerns when we get to a construction program for a site in the future. So that started from very early in the program. We created something called a national priority list, which was to identify sites and put them on a list and, in some sense of order, provide our support services from EPA and from the site, in this case, the State of New Jersey to go out and study some of these sites and go ahead for clean up. The national priority list is somewhat misleading to some people. They think, depending on the order of sites, where your site ranks in the total list, is how bad the site is and that's not necessarily so. We have a matrix that we use, a system where we identify key areas that might trigger further concern at given sites and when those key areas of concern, one of the major ones is that there is ground water in the area and it is contaminated. Nationally, it is a major trigger to put that site on the national superfund list. So it

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

sometimes skews a site in terms of where it shows on the priority list. It doesn't relate directly to any kind of direct risks to peoples health today. There is a difference between those two and people have that misconception. However, the Cinnaminson site was identified as one certainly that had some potential ground water problems and therefore was one of the sites that was put on the list, in fact, in 1984. When a site is put on the list, we start doing preliminary investigations to get a better sense and a characterization of what we are dealing with as a site. Once that happens we do intensive investigations at the site. We use contractors to do that for us and in fact that's what's been going on here for a number of years and a few of you may have been at previous meetings where EPA came down here and spoke about the kinds of studies we were going to do and how we were going to look at the Cinnaminson site and they haven't seen anybody back here since. It takes a long time to do the kinds of intensive investigations that we do on the front end, so we know what we are

1 going to be doing to remediate the site. What
2 we found with the program through its history
3 in the early days, we thought we had the
4 answers, that pretty quickly we would be able
5 to go out, see another Love Canal, we would
6 know how to deal with it. That's turned out
7 not to be the case. We found a lot of very
8 difficult scientific and technical issues at a
9 variety of sites that don't have such easy
10 answers to deal with overnight. It takes a
11 lot of study before we even get to the place
12 where we can come out, as we are tonight, to
13 provide you with what our proposed plan for
14 clean up is at the site. So remedial
15 investigation does take quite a bit of time.
16 Some people are misled about the amount of
17 years it takes. It just seems we are delaying
18 inordinately. It is the nature of our
19 program. After the remedial investigation we
20 do something called a feasibility study.
21 That's where our consultants and EPA look at
22 what are the viable alternatives for cleaning
23 up the issues we have identified at the given
24 site and we have also done that here at
25 Cinnaminson. The study documents and the

1 feasibility study documents that say what are
2 the alternatives that are looked at are in the
3 repositories if you want to look at them in
4 detail. They are quite extensive and detailed
5 but they are there for you to look at. After
6 that we get to a stage where we get to the
7 proposed plan. That's where we are at at the
8 moment. The proposed plan is the document we
9 distributed tonight that lays out the basic
10 alternatives that we looked at and the
11 alternative we have elected and proposed for
12 consideration. It is the one we think is the
13 most technically viable, given the conditions
14 we have seen here. That's our proposed plan.
15 It's not our final decision and it is very
16 important for you to understand that. This is
17 where the public process is quite activated by
18 EPA. We feel this is the best alternative.
19 If people can come up with suggestions that
20 that alternative is not the best and one of
21 the other alternatives we should be looking at
22 instead, we want to hear that before we make
23 our final decision. That's why we have the
24 thirty day comment period and the documents
25 for your perusal there and we do need, also,

007282

1 formal written comment during the comment
2 period and why we transcribe the meeting
3 tonight is so we have that well documented in
4 the record before we make our final decision.
5 The final decision is called a record of
6 decision and it is quite a formal legal
7 document and it is the time when EPA makes its
8 decision on how we exactly are going to clean
9 up the site. At least conceptually this is
10 the decision. Maybe it is the decision in the
11 proposed plan or some modification of this.
12 This is what the agency says it is going to do
13 and what we are saying there--and it is both
14 us and New Jersey. We work cooperatively with
15 the State and, in this case, with the DEP in
16 coming up with both the proposed plan and then
17 the final record of decision. Once that
18 decision is made and our regional
19 administrator signs the record of decision, we
20 are legally bound to clean up the site by that
21 record of decision. If we change our mind
22 drastically from that in the future we would
23 have to reopen it. The record of decision
24 says that the EPA will pay and clean up the
25 site according to what we have outlined or

1 perhaps we will look for potentially
2 responsible parties who we feel might have had
3 something to do with the site and ask them to
4 clean it up and they may do it under our
5 guidance. So it is sort of a two pronged
6 approach as to how we would approach the
7 actual clean up. Following that, we go to a
8 design phase. In the design phase we do very
9 detailed plans and specifications, engineering
10 plans and specifications. In fact, it is at
11 that time that a lot of the questions from the
12 public that we will probably hear tonight will
13 get answered. What we are offering right now
14 is our conceptual plan for clean up of the
15 site and we don't have every detail locked
16 down. We wait until we have our final plan,
17 our final conceptual plan at the final
18 decision stage. When we go to the design
19 stage we start asking ourselves the very
20 detailed questions, and an example in this
21 case is exactly where we are going to put our
22 wells in describing our ground water
23 alternatives and what kind of timing we will
24 have, what kind of routes do we need for heavy
25 construction equipment, what construction

1 times do we need. It is a major construction
2 project and this is what we are doing during
3 design. During design we also hope to
4 continue our community relations program with
5 you because that's a time when you are
6 impacted as you would by any major
7 construction in a area, where you might have
8 heavy truck traffic, construction equipment in
9 this case. You will have piping and wells
10 being installed in the area. So we want to
11 keep a close relationship with the community
12 during the design phase so that when we go to
13 the final phase, which is construction or the
14 remediation of the site, we do so in a way
15 that's as less disruptive than it might
16 otherwise be if we don't ask for your opinions
17 as we go through design. So, there is a phase
18 of community relations that really starts with
19 the proposal tonight and goes through design.
20 So that as we move through the process we try
21 to keep it as livable as possible in terms of
22 impacting the community in terms of heavy
23 construction later.

24 With that, we will get into the details
25 of the Cinnaminson site and I will introduce

1 Trevor Anderson, who is our project manager
2 for the site and he will go over the history
3 and specific remedial investigation results we
4 found over the past years.

5 MR. ANDERSON: Thank you. The
6 Cinnaminson ground water contamination study
7 area is bounded by Union Landing Road, Route
8 130, Taylor's Lane, and River Road. It covers
9 approximately four hundred acres in
10 Cinnaminson Township. This is basically a
11 history of what has happened at the site so
12 far. In 1983 the ground water contamination
13 problem was discovered in the area. In 1984
14 the site was placed on the national priorities
15 list. In 1986 EPA initiated a remedial
16 investigation and in 1989 the remedial
17 investigation report was completed and the
18 feasibility study was completed. I will now
19 go through a detailed description of the
20 various remedial investigation activities.

21 First of all, we conducted a field study
22 to develop site plans. We initiated
23 hydrologic investigation first to characterize
24 the ground water on the site, to characterize
25 the ground water flow direction. Secondly we

1 conducted ground water sampling by wells
2 installed by the previous owner and also by
3 wells installed by EPA. We conducted sampling
4 of potable private wells. These are wells
5 that are in the study area and these are wells
6 that are not serviced by the New Jersey
7 American Water Company. The reports found the
8 following organic compounds. First of all we
9 found arsenic, benzene, ethylbenzene,
10 chlorobenzene, tetrachloride, trichloroethane,
11 vinyl chloride and xylene. A total of forty
12 nine wells were installed in and around the
13 site at two hundred and four locations. The
14 wells were placed in order for EPA to totally
15 characterize the site. As you can see from
16 the map, from the diagram, the ground water
17 flow is in a southeasterly direction. Our
18 report also indicated that there were two
19 aquifers that were contaminated, first of all
20 the perched aquifer and the regional
21 aquifer. From the diagram itself you can see
22 what we call clay lenses which are these areas
23 over here. These areas were called perched.
24 What happened, from the sources it leached out
25 into the perched water zone. It was allowed

1 to flow horizontally until it found a crack in
2 the clay lenses and flowed downward into the
3 regional aquifer. First of all, the remedial
4 investigation report concluded there were
5 several sources of ground water contamination
6 in the area. First of all, we have the two
7 unlined landfills owned by Sanitary Landfill,
8 Inc. We have unlined soil pits. We have
9 cooling ponds, and also an area septic system.
10 The report concluded that two aquifers were
11 contaminated. The perched water table and the
12 regional aquifer. The report also indicated
13 that ground water from the sources migrated
14 down to the perched water zone from where it
15 migrated further down into the regional
16 aquifer. Chemicals I would also include, as
17 I previously mentioned, arsenic, benzene,
18 tetrachloride, trichlorethane and vinyl
19 chloride. A public health evaluation was
20 conducted. The report concluded that since
21 the residents in the study area is now being
22 serviced by the New Jersey American Water
23 Company that there's no potential exposure to
24 carcinogenic contaminants.

25 I will now introduce Bill Moran to talk

1 about the feasibility study.

2 MR. MORAN: As Trevor said, there are
3 sources of contamination which are
4 contributing to ground water contamination in
5 both the perched aquifer and regional
6 aquifer. Because of that, we have done a
7 feasibility study to determine the best method
8 for our source control and for ground water
9 treatment.

10 As far as source control, there are two
11 ways to approach this. There are
12 non-superfund controls and superfund controls.
13 As I said, there are two ways to approach
14 source control, number one is non-superfund
15 controls. The sources have been identified as
16 landfills, underground storage tanks and
17 slurry pits. The landfill has been capped by
18 the owner by the order of the State of New
19 Jersey. Underground storage tanks are handled
20 by New Jersey DEP and their Division of Water
21 Resources and slurry pits are also handled by
22 New Jersey DEP by the Division of Solid Waste
23 Management.

24 As far as superfund controls, we are
25 looking at, in terms of ground water

1 contamination, and managing the migration of
2 contamination, we have developed five
3 alternatives. Alternative one is no further
4 action. EPA is required to include no action,
5 as an alternative. It is used as a base of
6 comparison. Alternative two is monitoring and
7 administrative controls. This is ground water
8 monitoring to track the plume and
9 administrative controls to restrict use of
10 contaminated plume. The next three
11 alternatives, three, four and five, deal with
12 extraction and treatment of the ground water.
13 They differ in the area the ground water is
14 extracted from. Alternative three is
15 treatment of ground water from only the
16 shallow aquifer, from the perched zone.
17 Alternative four is treatment of ground water
18 from the deep aquifer or regional aquifer
19 and alternative five is basically a
20 combination of three and four. It extracts
21 water from the shallow and deep aquifer. In
22 each of the three ground water extraction
23 alternatives there are different ways to treat
24 the ground water or three options. Option A
25 was chemical precipitation. This is a

1 technology to control inorganics and air
2 stripping is used. Option B also uses
3 chemical precipitation but for organics uses
4 ultra-violet oxidation and option C uses
5 chemical precipitation and biological
6 granulated carbon. This figure gives you an
7 idea of alternative three.

8 Ground water extraction zones are used to
9 pull the ground water out. It is pumped
10 through treatment plants and then is treated.
11 As you can see here in this alternative
12 contaminated ground water still reaches the
13 regional aquifer. This is a map showing the
14 proposed perched zone extraction system.
15 There are four zones of perched zone ground
16 water which have to be extracted, a very large
17 zone along Taylor's Lane right here, and three
18 smaller zones along other parts of the
19 landfill and other sources. Extraction is
20 used to pull the ground water from these areas
21 and pumped to a treatment plant and is cleaned
22 up. This is a figure showing alternative
23 MM-4, which shows extraction from only the
24 deep aquifer. It is pumped to a treatment
25 plant and cleaned. As you can see here in

1 this alternative, all the contamination in the
2 perched zone will eventually flow down and
3 into the lower aquifer and get treated. This
4 is a proposed plan for the alternative ~~three~~ or
5 the extraction and treatment of ground water
6 from only the deep aquifer. There is a line
7 of extraction wells right here which we have
8 located at the further extent of
9 contamination. They trap all the ground water
10 flowing from this direction. All the ground
11 water is put into the treatment plant and
12 reinjected. This is alternative five which
13 again is a combination of three and four.
14 Here we have extraction from both the perched
15 aquifer and regional aquifer. Again, a map
16 of alternative five, which is extraction from
17 the perched zone. Again you have four perched
18 zones and the line of extraction wells
19 capturing all the contamination which is
20 pumped to a treatment plant and clean water is
21 reinjected. Those are the five ground water
22 alternatives and now Charley will talk about
23 the proposed plan.

24 MR. TENERELLA: I should have done this
25 before. It is more comfortable than standing

007010 7242

1 on my toes. The preferred alternative, as you
2 can see in the proposed plan that we gave you
3 this evening, was alternative MM-5. That
4 designation MM-5 came from the feasibility
5 study where we use codes to refer to the
6 various alternatives we looked at. That's
7 treatment of the ground water from both the
8 shallow and the deep aquifers. It is a
9 pretty extensive treatment system which will
10 require extraction wells for thirty years, a
11 few extraction wells for thirty years in the
12 deeper aquifer. So that treatment system
13 will have to be in place and operating for
14 thirty years and up to about hundred and
15 thirty wells in the shallow perched areas to
16 sort of take hot spots out and then we
17 estimate approximately a hundred and thirty
18 wells in the conceptual plan. We are hoping
19 to get that down lower so we don't have to
20 punch a lot of holes in the various areas.
21 But where we put those wells, those will be
22 lower in terms of the amount of production per
23 well and they will only be operating for about
24 five years in the shallow aquifer. For both
25 we will be using the chemical precipitation.

1 and biological granular activated carbon
2 treatment system and that was just a selection
3 of the treatment system for technology for
4 treating the contaminants and then reinjecting
5 the water that is treated back into the
6 ground. The object at the end of the thirty
7 year process is to provide an aquifer that
8 has basically safe drinking water as they
9 exist today.

10 Another option that we looked at or
11 another phase of the project that we looked at
12 while we looked at the ground water concerns
13 here was the SLI Landfill and the potential
14 that has for contaminating the aquifer.
15 Since the time we were first here initiating
16 our remedial investigation in '85-'86, a solid
17 waste cap has been installed on the SLI
18 Landfill and has gone through what's called a
19 closure procedure under New Jersey's hazardous
20 waste regulations. We have to now look at
21 that solid waste cap that's been installed to
22 see if that's sufficient to protect the ground
23 water from further migration of contaminants
24 or whether further capping of some type might
25 be needed in the future. In our assessments

7244

1 to date in the feasibility study where we
2 looked at that, we determined we would have to
3 wait until we start the ground water treatment
4 systems to get a better determination of how
5 that cap is working, how efficient it is
6 before we do anything further. So there is a
7 potential for us now to come back and
8 re-examine the caps, particularly the SLI
9 Landfill and the contribution that landfill
10 might be making to the ground water. The
11 suspicion is that the existing cap might be
12 okay but we are not sure enough to say that's
13 it. So we are leaving that for another day.
14 That's why you don't see it discussed. It is
15 discussed in the feasibility study but not in
16 the plan.

17 Another thing that's important to know at
18 the present time is that no municipal drinking
19 water wells are impacted by the ground water.
20 The municipal drinking water in the area is
21 quite safe to drink. It's not contaminated.
22 It is nowhere near any of the municipal wells.
23 That's checked regularly. The importance
24 of doing the ground water clean up here is to
25 prevent potential future migration of the

1 contaminants into those wells, to stop the
2 problem in its tracks now before we have a
3 problem in the future that would be that much
4 more difficult to treat because we would have
5 to start shutting down wells and that's the
6 important thing and that's the significance of
7 having Cinnaminson on the national priority
8 list and going through these studies and doing
9 this kind of remedial action at this
10 particular site.

11 I think we have covered all the bases in
12 terms of the alternatives. We can go to a
13 question and answer period. Before we start
14 that, what I would like to have you all
15 recognize is, the proceedings are being
16 transcribed and in order for the transcriber
17 to hear everything, would you please clearly
18 state your name and if you represent a company
19 or something to that effect if you let us know
20 that, and also ask your question as clearly
21 and loudly as you can so the stenographer can
22 pick it up. On this end we will try to use
23 the microphone and have people shuttle back
24 and forth.

25 MR. AUGUSTINE: My name is Joe Augustine

1 from Riverton, New Jersey. I don't know if
2 you mentioned it but in your statement that
3 you submitted you mentioned that the movement
4 of ground water from the aquifer was moving
5 to the south or southeast direction. My
6 question is, do you know the limits of
7 contamination now at the landfill site? Do
8 you know the speed at which it is moving and
9 which wells will be affected first?

10 MR. TENERELLA: I will ask the panel, for
11 ease, to sit up here and we can get to the
12 microphone easier.

13 MR. MORAN: If you can see that, this
14 figure shows the extent of contamination in
15 the ground water aquifer. To the furthest
16 extent is west of Route 130. There's a big
17 change in the levels of contamination near the
18 sources. This is just barely contaminated
19 here. We are not sure how fast the
20 contaminants are moving. The landfill, which
21 is probably the primary source here, has been
22 in operation since the '50's and really hasn't
23 moved that far.

24 MR. AUGUSTINE: Which municipal wells
25 will be affected first, given the present

1 direction of movement?

2 MR. MORAN: The New Jersey American Water
3 company has municipal supply wells east of
4 Route 130 approximately a mile, a mile east.

5 MR. AUGUSTINE: Say if you have to shut
6 that well down, they have other wells, is that
7 correct?

8 MR. MORAN: That's correct.

9 MR. MARINO: I am Dave Marino
10 representing New Jersey American Water
11 Company. In response to your question, at the
12 last meeting that we had regarding the
13 landfill and the exposure of our wells to the
14 possible contamination plume, we have prepared
15 a sketch and it is from information that was
16 provided essentially showing the flow of the
17 ground water in relationship to our wells.
18 The wells at New Albany Road and Pomona Road,
19 these two locations right here, as you can
20 see, the green location is the landfill.
21 These two would be the ones that would be
22 first impacted. As far as the answer to your
23 question, how fast is it moving and how fast
24 will it get to our wells, a lot depends on how
25 we use and operate our wells. The harder we

1 pump our wells the faster that water will
2 move. Knowing that and that is our resource,
3 we have altered our operating pattern, that
4 these wells are our last ones on. So, we use
5 everything else and use these wells last. So
6 we are doing everything we can to slow the
7 speed of the water going through the aquifer.
8 If we do get some contamination at New Albany
9 Road station we have the ability to shut that
10 well down and rely on our other wells since
11 our system is totally interconnected,
12 comprising of sixteen wells. We can move
13 water around pretty easily.

14 MR. TENERELLA: I would add, when we go
15 to design, it is information from the water
16 company we will use as we start implementing
17 that ground water pump. We will be
18 influencing their wells to a degree and we
19 will be in coordination with them throughout
20 both our design and construction period. So
21 if something happens, we will be quite aware
22 of it as it is happening.

23 MR. BETZ: My name is Betz from Delran.
24 My property is adjacent to Swedes Lake. I am
25 wondering if there was any studies done on the

1 water in Swedes Lake because I think it has
2 both aquifers in that lake.

3 MR. TENERELLA: No studies have been
4 done.

5 MR. BETZ: In the past two years I have
6 seen no baby ducks in the lake and ducks have
7 been trying but there hasn't been any baby
8 ducks at all and people are eating the fish
9 out of the lake. There's been members of my
10 family tried to swim in there and they have
11 come down with a rash. So I have just
12 wondered if anything has been looked into as
13 far as that water goes at Swedes Lake.

14 MR. MORAN: Swedes Lake is right here.

15 MR. BETZ: It is, I would say, within
16 several hundred yards of Taylor's Lane.
17 Swedes Run is in between Taylor's Lane and
18 the--

19 MR. MORAN: The only thing that is really
20 affected by the source in this area right in
21 the immediate area of Taylor's Lane and Union
22 Landing Road where this plume is right here.

23 MR. BETZ: This is east of Taylor's Lane.
24 Now some of the lake is thirty feet deep. It
25 is probably the two aquifers.

1 MR. MORAN: As we said, ground water is
2 flowing south/southeast, the lake is here. It
3 couldn't be affected by these sources.

4 MR. BETZ: I just wondered if it was ever
5 checked.

6 MR. TENERELLA: We are limited in our
7 studies when we do a site study to defining in
8 a given site that that is the site and there's
9 contaminants entering various sectors from
10 that site. What happens if you really start
11 spreading out, you start getting cross
12 contamination from minor sources but they are
13 not part of the superfund activity and
14 superfund site and they are not remediated
15 through the superfund process. There might be
16 something happening but we wouldn't be aware
17 of it as that source related.

18 MR. BETZ: I just wondered if the
19 migration from the landfill went over to the
20 lake.

21 THE SPEAKER: The gentlemen wants to know
22 what the water quality is in Swedes Lake. Is
23 there existing analysis or present data
24 available? That's what he wants to know.

25 MR. TENERELLA: There might be from the

1 State of New Jersey and you might want to
2 contact the New Jersey DEP, but the water
3 resources people down there, not the superfund
4 or hazardous waste people. Talk to the water
5 resources people in Trenton and see if
6 analysis has been done in the past and you can
7 get some data that way. You might also check
8 with the county health department. They might
9 have some of that information also.

10 MR. OSALSKI: Ray Osalski from the
11 Township Committee here in Cinnaminson. This
12 slide, it kind of makes me wonder. The upper
13 landfill is at least, just glancing at it,
14 about 50 percent larger than the one you have
15 the concentration of wells around and you show
16 a perimeter of this plume and there doesn't
17 seem to be any evidence drawn from sampling
18 wells to establish that perimeter and I would
19 like to know how you came up with that idea.
20 It seems like you should have at least have
21 one or two wells at the corner.

22 MR. MORAN: This figure only shows EPA
23 wells. There are several wells already
24 installed by the property owner along this
25 edge and all the way up here.

1 MR. OSALSKI: There are additional wells
2 providing information?

3 MR. MORAN: Yes.

4 MR. OSALSKI:

5 MR. LECY: My name is George Lecy and I
6 would like to point out less than thirty days
7 ago there was no information regarding any of
8 the EPA studies to date at either of the top
9 two locations listed nor is Katherine Deboner
10 with the Township at this time. So I know it
11 all sounds good but I know it took me several
12 weeks to get my hands on information before we
13 could work on one of several deals in the
14 area. So I would like to see if we can get
15 more cooperation to make sure there's a
16 current contact and that the information does,
17 in fact, make it down to the local offices
18 where it is promised through Trevor's office
19 and a few of the other offices.

20 MR. TENERELLA: That's really important
21 to us that we go through that again and make
22 sure we have the repositories, knowing where
23 those things are and being made available
24 easily.

25 MR. LECY: We have this report. You

1 sent us two copies. It's been in the clerk's
2 office since I would say January or February.

3 THE SPEAKER: I came to both locations
4 and I talked to the new contact. They gave me
5 the whole files with plenty of letters from
6 the mayor. No reports, just a lot of
7 correspondence.

8 MAYOR ELEUTERI: Did you come to the
9 clerk's office?

10 MR. LECEY: Yes. I had more people
11 laughing at me because I was asking for
12 information.

13 MR. TENERELLA: That sounded weird to
14 them?

15 MR. LECEY: They pulled out every file
16 they had for me. They were very nice and they
17 had a bunch of old correspondence with the
18 landfill itself.

19 MR. TENERELLA: I would say this. If you
20 need information and you are having trouble
21 with your local repositories, get in touch
22 with us. You can get in touch with us.

23 MS. RYCHLENSKI: I wanted to let you
24 know, we did send out three boxes of very
25 voluminous documents to each repository. If

1 you have a problem like that please get in
2 touch with me. That's my job, to get the
3 stuff out there. I know the stuff has been in
4 the repositories a good three or four weeks
5 because there were huge amounts of documents
6 and if there's a problem, let me know because
7 I check with them to see if they arrived and
8 they are sent by overnight mail and I was
9 told, yes indeed, they did arrive. If there's
10 a problem there we need to know about it and
11 rectify it.

12 MR. LECEY: Thank you.

13 MR. BEARD: My name is Bob Beard, one of
14 the Township Committee. Could you take your
15 slide that said source control and put it back
16 up there? Non-superfund controls, landfill
17 cap, and slurry pits, would those things, the
18 upper crust, the cap you said you are going to
19 postpone or put a moratorium on checking. It
20 would seem that that doesn't make any sense to
21 me. You would check the closure in
22 conjunction with the entire atmosphere that
23 you are checking now. If you let the cap go
24 there's got to be migration later on. It
25 doesn't make sense. Can you explain that

1 please?

2 MR. TENERELLA: I am not sure I
3 understand the question. There's an existing
4 cap.

5 MR. BEARD: You said you weren't going to
6 look at that.

7 THE SPEAKER: We are saying, when we
8 started our studies in 1985 the cap did not
9 exist. So we started our investigation.

10 MR. BEARD: I understand that.

11 THE SPEAKER: Subsequently New Jersey
12 asked that that the landfill be closed. So a
13 State Solid Waste, by definition, a regulatory
14 State Solid Waste cap was placed on the
15 landfill. That cap and the efficiency of that
16 cap theoretically should be sufficient in
17 terms of its sufficiency to prevent the
18 continued migration of water contamination.

19 MR. BEARD: But you said you weren't
20 going to measure that efficiency rate now.

21 MR. TENERELLA: I am saying rather than--
22 initially the options we were looking at was
23 to decide what to do with the cap in this,
24 what we call operable units. When we
25 sub-divide a superfund site down into

1 different phases of activity, this particular
 2 site was looked at initially as doing it once
 3 and doing all decisions under one record of
 4 decision and part of that record of decision
 5 was to decide what to do about the cap,
 6 whether you could nothing further, relook at
 7 the solid waste cap or require that an
 8 additional capping material might be required
 9 for some reason. In our assessments through
 10 the remedial investigation we determined that
 11 we couldn't make that decision now, it would
 12 be unfair to make a decision now, what would
 13 be a binding decision. For example, say do
 14 nothing, don't do anything further, it would
 15 be better to hold off on that, not make the
 16 decision, even though we did some early work,
 17 and hold that off to a second, what we call an
 18 operable unit, a second phase of the project,
 19 if needed, and then do another determination,
 20 whether the existing cap is fine or not. That
 21 would be another study and further work

22 MR. BEARD: Let me just stop you. This
 23 other study that you just referred to, it's
 24 not part of what goes up for signing of
 25 approval, right?

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. TENERELLA: Right.

MR. BEARD: That means you have to reopen again for this additional study?

MR. TENERELLA: It is a separate record of decision.

MR. BEARD: Altogether separate?

MR. TENERELLA: Correct.

MR. BEARD: Don't you have to go through all this public hearing again for it?

MR. TENERELLA: Correct.

MR. BEARD: It doesn't make sense. Why don't you do it all at one time and get the okay now and then, if you so desire, your engineers so determine, and down the road one of your phases is to check the capping.

MR. TENERELLA: Our regulations won't allow us to write a record of decision in such an open ended fashion when it is a major decision like that. We are allowed the flexibility of making conceptual decisions now and then getting into detail during the design but when it comes to a major portion of what you are going to do, the way we do it, if we don't think we can do it in one shot, we sub-divide a project into operable units and

1 do it in phases. Most sites in fact are done
2 in a staged approach. There are few sites
3 that are done on one shot. The relatively
4 simple sites are.

5 MR. BEARD: So you are going to spend X
6 number of dollars in your first phase to put
7 in a filter system and put in your five year
8 shallow testing areas and your thirty year
9 regional aquifer testing areas before you
10 start the second phase of making sure the cap
11 is adequate so that nothing migrates down
12 again. Do I understand this right?

13 MR. TENERELLA: If you mean, are we going
14 to wait thirty years to do this, no.

15 MR. BEARD: I mean all these other things
16 to remediate this problem.

17 MR. TENERELLA: We are going to start
18 ground water remediation.

19 MR. BEARD: And then after the second
20 phase of checking the capping?

21 MR. TENERELLA: That's right.

22 MR. BEARD: In the interim, if the
23 capping is inadequate, you are going to have
24 migration down from there.

25 MR. TENERELLA: But we will have the

1 wells controlling that and then we will decide
2 if we need additional capping requirements on
3 the site.

4 MR. BEARD: How do we get a commitment
5 from you all that this second phase will be
6 done in a timely fashion in proximity to the
7 completion or the operation that you are going
8 to do in the first phase? In other words, I
9 don't want to wait thirty years either. I
10 will be dead by then.

11 MR. TENERELLA: All superfund sites that
12 are still active in one way or another, in
13 construction phases, and haven't gone through
14 what we call total closure, we have a term for
15 it, which is the deletion of the site from the
16 national priority list and that's another
17 process in itself when we are through with
18 construction, we are comfortable that
19 everything has been done as we wanted it to
20 be, we have the de-listing process, which we
21 haven't gotten into in any sites in the
22 country yet. Before that occurs all this
23 would have to be examined. As part of that
24 process we do what we call a five year review
25 of all superfund sites that are still active

1 and things are happening. So even if we did
2 nothing, five years from the start of
3 construction we would do a review. We would
4 probably in this case, maybe we will go
5 through the first five year period, maybe we
6 will need that time to get a sense of what's
7 going on. It is going to take at least a year
8 to design the project. Then it will be a year
9 at least before we complete our design and
10 specifications and everything is comfortable
11 with them and then we go to construction.
12 That's a couple years down the road even then.
13 By that time we are getting close to a five
14 year cycle and sometime in this period of time
15 when we start the pumps going and we see
16 exactly what's happening with regard to the
17 ground water and we think the cap is settled
18 properly in terms of normal site closure, we
19 can make a better determination. There's been
20 debate about it, do we do it now, should we go
21 and put another cap on now or do we walk away,
22 say no action, and there was a reluctance in
23 terms of making a decision now and reopening a
24 ROD. It's easier to hold off and do another
25 operable unit and define this thing in terms

1 of the technical language we use as an interim
2 step and as I said, that's very common in most
3 sites. This is not our final ROD. When you
4 do your final ROD you actually define it that
5 way in terms of how we structure our paperwork
6 and this is not know a final ROD. We don't
7 want to belabor that point in writing a simple
8 proposed plan that people can understand but
9 that's the kind of detail we would go into in
10 terms of making those commitments.

11 MR. BEARD: I have one other question.
12 You mentioned something about five years for
13 the shallow checking and thirty years for the
14 regional. What do you expect to happen in the
15 five year? It is always going to go down but
16 why do you only test the shallow for five?

17 MR. MORAN: There's less water in the
18 perched zone. It can be removed in five
19 years.

20 MR. BEARD: There is less water in the
21 perched zone and can be removed in five years.
22 Would any residual continue to hit that
23 perched?

24 MR. TENERELLA: You mean hitting the
25 lower aquifer?

1 MR. BEARD: Hit the perched and then
2 lower, if I understand what he's saying.

3 MR. MORAN: First of all this is a much
4 smaller volume of water. So it can be treated
5 much quicker.

6 MR. BEARD: I understand that, but you
7 are going to do five years on the upper and
8 then thirty, you are going to keep your
9 monitoring thirty years on the lower.

10 MR. TENERELLA: Those aren't monitoring
11 wells. Those are extraction wells.

12 MR. BEARD: One other question. I think
13 my associate's comment was well taken. I
14 would like to see, I guess we have to put this
15 in writing, on that plume area, the periphery,
16 his point was well taken. We want to know, at
17 least I want to know and I am sure he does,
18 all those other locations of the wells on that
19 outside, what was it, Union Landing Road area.
20 Can we write to you and you give us this
21 information?

22 MR. TENERELLA: You want the wells that
23 we looked at that didn't show tonight. Those
24 are in the remedial investigation, the
25 feasibility study documents. That should

1 answer your question. If that doesn't, get in
2 touch with us.

3 MR. BEARD: We had to hire our engineer
4 to read it.

5 MR. COMBS: My name is Jack Combs an
6 environmental consultant. I have several
7 questions if you don't mind. I want to double
8 check the ground water flow. It is to the
9 southeast?

10 MR. MORAN: South/southeast.

11 MR. COMBS: Is that both aquifers

12 MR. ANDERSON: The regional aquifer is
13 south/southeast. The perched zone may go
14 whichever way it dips.

15 MR. COMBS: So it could go towards the
16 southwest, towards the Delaware?

17 MR. MORAN: The Delaware is actually
18 north. They are very small perched zones.
19 Any ground water that flows off of them
20 eventually winds up in the regional aquifer
21 and starts moving south/southeast.

22 MR. COMBS: What's the depth of your
23 perched zone, your shallow low aquifer?

24 MR. MORAN: The depth of the perched zone
25 I would have to look it up.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. COMBS: I have six ground water wells on a site on Taylors Lane in Cinnaminson and I am picking up small traces of methylchloride. Is it possible we have what we call sinking contaminants, sinkers to the bottom of the aquifer and backtracking to the north?

MR. MORAN: What do you mean by backtracking?

MR. COMBS: Instead of floaters floating on the surface of the aquifer, is it possible you have substances sinking to the bottom of the aquifer?

MR. MORAN: Most of these are heavier than water.

MR. COMBS: So it is possible they are sinking and backtracking?

MR. MORAN: We don't have evidence that they are backtracking.

MR. COMBS: Thank you very much.

MS. RYCHLENSKI: Yes, ma'am?

MAYOR ELEUTERI: I have a question. On page three of your plan you list four potential sources of contamination, the landfill and three other companies. Are they in fact contaminating? Without reading them

1 all, there's an unlined landfill, solid
2 underground storage tank, cooling ponds and
3 slurry pits and septic systems. If that's
4 true has anything been done to correct that,
5 are they actually in fact contaminating?

6 MR. ANDERSON: At this moment in time our
7 investigation and study indicates Salvage Auto
8 auto underground storage tanks are sources of
9 contamination. At this moment in time EPA
10 hasn't conducted an analysis yet in the sense
11 right now the landfill is capped with eighteen
12 inches of clay. They have monitoring wells.
13 They provide quarterly ground water sampling
14 results to DEP. The other sources of
15 contamination will be taken care of as was
16 explained by Bill Moran.

17 MAYOR ELEUTERI: When you say EPA you
18 mean the federal EPA.

19 MR. ANDERSON: Federal EPA.

20 MAYOR ELEUTERI: Are you investigating
21 these to determine whether or not--

22 MR. ANDERSON: There's an ongoing
23 investigation that we are conducting. That
24 investigation is not completed as yet.

25 MAYOR ELEUTERI: On these areas, these

007266

1 companies?

2 MR. ANDERSON: These companies and other
3 companies too.

4 MR. TENERELLA: There are some things
5 that we don't have direct control over. Even
6 though there might be federal laws we have
7 designated responsibilities to the State of
8 New Jersey. There are some things we would be
9 working with DEP on in terms of the exact
10 regulatory strategies and specific regulatory
11 action we would take in a given facility. It
12 might come under state law.

13 MAYOR ELEUTERI: When will these studies
14 be complete? Mr. Anderson said you are
15 conducting studies now. Is there an estimated
16 time when they'll be completed and we receive
17 a report?

18 MR. TENERELLA: As we define a regulatory
19 violation by a given company under a given
20 federal or state law then we will take action
21 under that law and that's the kind of strategy
22 we use.

23 MAYOR ELEUTERI: Do you inform us on that
24 as you do make a determination?

25 MR. TENERELLA: I would say that early on

1 in our investigation we wouldn't be able to.
2 Later on, yes.

3 MR. HAMEL: I have two comments, one for
4 the Mayor. Let me identify myself. I am
5 Frank Hamel, President of DelVal Ink. As you
6 can see from the map we are surrounded by the
7 landfill. I am very disturbed about the
8 landfill. We have been their neighbors for
9 thirty years and had nothing but trouble. We
10 have had dust, dirt, bad odors and now we have
11 got contamination. I wanted to ask but before
12 I do that let me go through a little scenario
13 which might help the rest of you. We are one
14 of the companies which is identified. In fact
15 if you look at your brochure it talks about
16 DelVal being one of the potential
17 contaminators. When that came across my desk
18 about nine months ago, I didn't exactly have a
19 great morning but I did, being a chemical
20 engineer, evaluate the data. We plotted our
21 positions, our wells, we indicated the degree
22 of contamination, we determined the exact
23 contaminants in the wells which were
24 surrounding us and then the wells which were
25 downstream and you can see we are downstream

1 and in every case the contaminants which were
2 mentioned to you before, ethylbenzene, Xylene,
3 all those were found in the landfill at much
4 higher concentrations than they were found in
5 DelVal. The compounds from the emissions from
6 the vents were about a thousand times greater.
7 I wrote up that up and sent it to people like
8 Trevor but said let me just run this by
9 someone else. So I ran it by someone else and
10 they said, Frank, you're not a bad engineer,
11 but what do you have after your name? I said
12 I have President. Well, what do you know
13 about hydrology? I said, well, I went to
14 school. Can you sign your name hydrologist
15 and I said, no, I can't do that. They said
16 get one. So I did. In fact I spent five
17 thousand dollars for that piece of paper.
18 That piece of paper says to me that I am clean
19 and faultless and the reason I mention this to
20 you, you might have the same problem. These
21 guys do a great job but remember they are very
22 casual, they said, maybe DelVal but it could
23 also put me in your eyes as a poor citizen.
24 We have been in this community for thirty
25 years. We enjoy it. We employ twenty-five

1 people. You can ride by Taylor's Lane and
2 look at us and we are proud to be in
3 Cinnaminson. We don't want to be dubbed as
4 contaminators. I have just written Trevor
5 today, special delivery, which says no way are
6 we contaminating. But I will say this, I am
7 getting tired of that landfill. That has been
8 at my back for thirty years and we want that
9 baby cleaned up and whatever technique it
10 takes to clean it up, I applaud that. The
11 question I have to ask after all that routine
12 is, how are we going to prevent the water
13 which is under the landfill from coming down
14 and continuing to infiltrate my land,
15 depreciate the value of my company and do all
16 those things which make me very unhappy?
17 That's my question.

18 MR. TENERELLA: Starting with the
19 landfill and its contribution or other sources
20 and their contribution, as I said before,
21 there are two ways in which we clean up a
22 hazardous waste site. One is we use the
23 superfund, the money that Congress gives us
24 through various tax programs including a tax
25 on petrol-chemical products nationally which

1 is in a pot of money, which in 1986 was
2 something like five billion dollars, for site
3 cleaning and we clean sites up with it. The
4 second option is we look for what we call, to
5 start with, potentially responsible parties
6 because we don't want to talk about people who
7 are guilty. It is you, it is you, it is you
8 and that's that. But we have suspicions, we
9 have people who may be contributors to a
10 particular contaminant plume and we use that
11 term "potentially responsible parties" until
12 we can come to a determination more
13 definitively whether they are indeed a
14 contributor and about how much. It might be
15 minor or it might be significant. That
16 doesn't prevent us from doing, in an area wide
17 study like this, things like ground water
18 clean ups while we still define more carefully
19 who we think is doing exactly what and that is
20 an imprecise science at best even then. Then
21 again, precise enough under the superfund law
22 to cause us to have what we call joint and
23 several liability. I am not a lawyer but
24 basically what it means is, if we can find one
25 person, we might miss ten, but if we can find

1 one we can nail him for everything.

2 MR. HAMEL: My other question is, you are
3 going to put these pumps downstream from
4 therefore you will put that across
5 property.

6 MR. COMBS: We recognize once we take
7 actions we will be impacting the ground water
8 flow before we started and we're certainly
9 taking that into consideration. Comments like
10 yours are important also, the comments. When
11 we say a community, we do not just include the
12 public who lives in the area. We also include
13 elected officials and companies and we want to
14 know during the comment period if you have
15 those kinds of concerns so we can take that
16 into account when we go back into design. It
17 doesn't change what we want to do in terms of
18 the clean up option but certainly changes the
19 kind of direction we take for full control in
20 the area and that's where we get into the
21 specifics the Mayor was talking about before.

22 MR. HAMEL: Then what you are saying is
23 during this thirty year period you would
24 continue to have contamination flowing across
25 my property for thirty years until you extract

007278

1 all the leeches from underneath the landfill
2 across my property.

3 MR. TENERELLA: In the deeper areas
4 for thirty years. In the shallow areas
5 for five. That's getting hot spots on the
6 perched areas and it will take that
7 period of time when you start treating
8 water. It is troublesome to get it down to
9 levels that are sufficient for draining water
10 again later and it is a very time consuming
11 purging operation but it doesn't also
12 necessarily mean that you have got these
13 terrible solutions of contamination that will
14 boil to the surface either. After awhile you
15 will have lower levels of contamination, not
16 fit for drinking water so we don't want them
17 to remain there, but not the kind of
18 contaminants where you have red and green
19 bubbling ooze coming out of the ground either.

20 MR. HANEL: When do you expect to get
21 all that leeches from under the landfill. It
22 will be there forever. 007273

23 MR. TENERELLA: That's what we are
24 saying, landfill closure, which is not
25 necessarily part of the superfund program.

007273

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

is a separate process that states usually
and it is a whole other process of running
monitoring wells around the landfill
putting caps on landfills and checking
the monitoring wells whether the cap
sufficiently retarded leeches so you
have outward migration any longer. This
happens through the solid waste authority
the State of New Jersey and or under
superfund. We are going to have that
happening because the SLI Landfill was closed
under State guidance and there is none
to go along with that separate from but we use
them in correlation with our superfund
program. We will have that plus purging the
ground water and that should stabilize the
situation. Are there absolute guarantees,
guaranteed that is going to work and we are
set? No. We have never done this. Superfund
started in 1980. The first site was Love
Canal and it turned out to be a relatively
easy site to remediate. What we did at Love
Canal, we moved people out of the homes,
capped the landfill, and it was the first
hazardous waste landfill cap, and we put a

1 leechae collection system and that's holding
 2 it in. The ground water up there is not used
 3 for drinking. If the ground water is
 4 impacted, that's how it is running up
 5 That seemed like a relatively simple
 6 solution to use at other sites but as
 7 gone along we have gotten much more
 8 sophisticated and it is a much more
 9 troublesome program to project. What will
 10 happen in thirty years is not known.

11 MR. HAMEL: Can you surround the landfill
 12 with leechae pumps?

13 MR. TENERELLA: The monitoring wells that
 14 are put in, if that's necessary to do that, to
 15 put in a leechae collection system around the
 16 landfill, if they have a monitoring system
 17 that shows they have contained their
 18 contaminants, fine. The monitoring system
 19 says that to you and you don't do anything
 20 further.

21 MR. HAMEL: So you have checked the
 22 results of the monitoring wells?

23 MR. TENERELLA: We certainly use that
 24 information directly to see what kind of
 25 impact we think we are getting from the

1 landfill and it is that kind of information
2 that led us to the lack of a decision right
3 away, whether we need needed further capping
4 material on the landfill or whether it is
5 doing its job. We need more monitoring data
6 from those wells.

7 MR. HAMEL: Didn't your engineers say
8 that it had broken through the clay in the
9 perched area? Did he mention about the clay,
10 that had nothing to do with the landfill?

11 MR. MORAN: No.

12 MS. FISHER: Carma Fisher. Next year
13 Congress will vote again on whether they'll
14 continue superfund. My question is, is the
15 money going to be dedicated for this? Will it
16 get done whether they vote yes or no to
17 continue the superfund?

18 MR. TENERELLA: That's a good question.
19 Someone somehow always asks it at the
20 superfund site. The simple answer is no, no
21 guarantees. In 1980 superfund was
22 established. It was called, I can't even
23 recall the full title of the act.
24 Comprehensive environmental recovery
25 liability. I don't even use it. But that's

007276

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CIRCLA, that's superfund's formal title.
That's the title of the law in 1980. In 1986
we ran out of money. In 1986 we were
reauthorized and it took a year of
congressional debate to reauthorize superfund
in '86. That was called, that act is formally
called SARA, superfund amendments and
reauthorization act. That act provided
additional money until 1991 and no further and
it also changed drastically how we ran the
superfund program because we had learned
between 1980 and '85 that the program was
becoming more complicated, it was a more of a
long term program than the government had
envisioned when it was started. So the '86
amendments took quite awhile to get
reauthorized because we changed superfund
quite a bit. In fact Cinnaminson as a site
fell into the lull created by that
reauthorization debate because we could no
longer fund anything for awhile. About a year
the agency was fairly dormant. We were trying
to keep staff on board and we couldn't pay
them. There was quite a lull in the superfund
activity because we didn't have heavy funding

1 available any longer for that year. We had
2 minimal funding. In 1991 the same thing could
3 occur again. The reality is that the issue
4 of hazardous waste sites is a national
5 priority, is very high on everyone's list and
6 it suggests, particularly in the year of the
7 environment, we just went through the
8 twentieth year of earth day, as a practical
9 matter, something will be done to reauthorize
10 superfund, everyone suspects, because it is on
11 everyone's agenda as something important to
12 do, both by elected officials in Congress and
13 by the public at large. How much money we get
14 is to some degree impacted on how much
15 Congress wants to give us based on other
16 budgetary considerations and what the
17 superfund program will look like as of 1991
18 may also change again as we learn more about
19 the program. From a money side, yes, it is
20 always an issue and in 1991 it will come up
21 again. By the time this project is in
22 construction we will be in that next cycle of
23 authorization and there's no guarantees other
24 than the practical, again, that superfund is
25 considered a priority nationally.

1 MR. ROGERS: George Rogers, a resident of
2 Cinnaminson and I have property on Taylors
3 Lane. I am getting more and more confused as
4 I sit here and listen to this. I received
5 this thing in the mail on May 22. I really
6 haven't had a lot of time to digest it. I
7 have a lot of thoughts that come to my mind as
8 I read it and a few of them I have jotted down
9 here as I was waiting for this program to
10 start. One thing comes to mind, on page four
11 of this little pamphlet it says in the average
12 lifetime the cancer risk caused by ingestion
13 of ground water from the perched water table
14 is one, whatever it is, and from the lower
15 levels of the aquifer, one per thousand. I
16 am just wondering, in a worst case scenario,
17 if all the wells were shut down wouldn't we be
18 adequately supplied by water by this sixty two
19 inch aquaduct which is taking water from the
20 Delaware River. I know the New Jersey Water
21 Company is planning on spending quite a few
22 million dollars to provide water for Mount
23 Laurel and Moorestown and I understand from
24 one of the meetings that that water will be
25 available to Cinnaminson also. So under the

1 worst set of circumstances, all the private
2 wells and your local wells could be
3 theoretically shut down and there would be
4 adequate water if this new pumping station
5 right behind Taylor's Lane there was
6 operation. That's the first thing that
7 to my mind.

8 The second thing that came to my mind
9 here this afternoon I happened to get a copy,
10 purely by coincidence, of the American Cancer
11 Society's publication which I recommend
12 everybody get a copy of it, it's quite
13 interesting, and they mention in here a lot of
14 very fascinating facts about cancer and I
15 think that's one of the reasons why we want
16 this thing cleaned up and why we are concerned
17 about it. They say, at any rate, as I recall,
18 in a community of a population twenty-five
19 thousand, and I think Cinnaminson has a
20 population somewhere in that neighborhood,
21 sixteen, seventeen thousand, you can expect in
22 the year 1990 for a community of twenty-five
23 thousand that fifty people could contract
24 cancer and in a ten thousand community it will
25 be twenty people. That's not the life span.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

but just in one year, 1990. So you are talking over here in your publication about one additional person per hundred thousand, or one additional person per thousand will be getting cancer if this situation is not kept under control. Meanwhile we have got somewhere between twenty and fifty people in this year alone, in this area, who can be expected to contract cancer from such things as smoking, from such things as eating a high fat diet, from such things as perhaps water that's getting contaminants coming from these lawn Doctors spraying chemicals all over our lawns and so forth and so on. It almost sounds a little bit like this is a pork barrel, a thirty year pork barrel program. There are so many much more important things I can think of in just a few minutes that this money can be better spent on. We have homeless people in Cinnaminson. Money can be spent on educating people not to smoke. We have a severe problem in this country of fetal alcoholism. Probably ten percent of the population were born to mothers who drank and smoked and took drugs during pregnancy. We have a terrific problem

1 of people who have problems with drugs. Don't
2 you think some of this money that's being
3 spent, you have done a wonderful thing, you
4 have capped this horrendous, hideous eyesore
5 in this township which stunk and did nothing
6 but cause problems. You have capped it.
7 Theoretically, the capping should prevent some
8 of this migration. You don't even know how
9 far it's progressed. You seem to have a
10 thirty, thirty-five year site. Don't you
11 think you must have a million dollars worth of
12 intellect in this room alone to take care of
13 one additional cancer case in a thousand, in a
14 lifetime situation?

15 MR. TENERELLA: Let's try and put this in
16 perspective.

17 MR. ROGERS: Why don't you go back to
18 Congress and ask them? We are talking about a
19 piece, fall out. Why don't we have a fall out
20 from some of these things and put some of
21 these funds to work helping people?

22 MR. TENERELLA: Let me further clarify
23 what this means in the proposed plan. In
24 order for us to clean up a superfund site we
25 have to determine that there's some sort of

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

risk of some sort to the health or the environment. Either--

MR. ROGERS: There are many other risks that are more severe.

MR. TENERELLA: We have to determine that there's a risk, either an actual risk, which is not the case here, or a potential risk, which is the case as I explained before. The idea here is to clean it up before you have a problem. But we have to define those potential risks. The numbers you see here, which could be explained to you in more detail today or in the availability session tomorrow, we can explain how those numbers come in more carefully. That's what gives us our authority to clean up the site. If there's no risk, we don't spend superfund money.

MR. ROGERS: What about the risk from children who are being killed in automobile accidents from drunken drivers?

MR. TENERELLA: The decision on where money gets spent is not ours. We just work for the agency.

MR. ROGERS: Have your agency go back to the people

1 MR. TENERELLA: That's your job as
2 citizens, to go back to your elected officials
3 and register with them what you think national
4 priorities should be. My job is to implement
5 the superfund law as given to us by Congress.
6 Congress tells us how superfund will operate
7 as a whole. Congress told us in '80, during
8 the reauthorization in '86 how to change and
9 operate a different way and told us how much
10 money we are going to get to spend. Congress
11 reacts to public concern and over those years
12 there's been an outcry of public concern for
13 protecting people from hazardous chemicals.

14 MR. ROGERS: Drummed up by the media.

15 MR. TENERELLA: Including from hazardous
16 waste sites. That's the decision that
17 Congress has made and that's what we operate
18 under.

19 MR. ROGERS: Spend your money capping
20 these sites and lining new sites if you must
21 have sites.

22 MR. TENERELLA: Once those decisions are
23 made then we are here to implement them.

24 MR. MARINO: The scenario you laid out is
25 considered a worst case scenario. But the law

1 treatment plant that's being designed
2 currently will have the ability to supply
3 water to Cinnaminson and the balance of our
4 distribution system if in, fact, all our wells
5 did get contaminated.

6 MR. ROGERS: What happens when the salt
7 line moves up?

8 MR. MARINO: That's being addressed with
9 the Delaware River Basin Commission and the
10 release programs and the reservoir
11 modifications.

12 MR. SHAVITZ: Les Shavitz. We own the
13 property within the study area and I have a
14 couple of questions. Question number one is,
15 what's the status of the land within the study
16 area? Is there any danger to people who live
17 in houses that are on the study area? Is
18 there any reason not to build new structures
19 on the study area? That's question number
20 one. Question number two is, as far as the
21 well system is concerned and the treatment
22 plant and so forth, if the EPA, if everything
23 is approved to go ahead and fund this thing
24 and do it and so forth, is there a
25 condemnation procedure too, an exercise of

1 eminent domain or anything like that to gain
2 the well sites and the treatment plant sites
3 and what are the rights of the property owner
4 as far as taking of land and so forth?
5 Question number three is, how deep is the deep
6 aquifer?

7 MR. TENERELLA: I understand it is about
8 two hundred ninety one feet to the bottom.
9 That's question three. The first two, the
10 land issue, the issue here is potential
11 contamination of a ground water source. In
12 fact, the intensity of the clean up is a
13 factor of the importance that the State of
14 New Jersey places on protecting ground water
15 resources in the State, and in making sure if
16 there's contamination there that contamination
17 is fully remediated but it is in the ground
18 water and rather deep down. So you don't have
19 a surface contact kind of a problem at this
20 particular site. It is strictly ground water
21 plume type contamination that cause the risks
22 here that causes us to do this type of work.
23 No problem on the surface.

24 MR. SHAVITZ: A further question, if you
25 grow things--

1 MR. TENERELLA: Right, no problem. There
2 are sites where there is certain types of
3 contamination that migrated off site by rain
4 and such and people may have contaminated
5 gardens. Now that's not the kind of problems
6 have here. The second question, on the piping
7 issue, when we, in design, find exactly where
8 we think we need to place wells, we will be
9 asking people who own those properties to
10 provide us something called an access
11 agreement to construct those facilities, both
12 the wells and the piping of the water to the
13 treatment facility that's going to treat this
14 ground water when we take it out. What you
15 have to envision here, do we have the diagram
16 of the wells? See that piping Bill is
17 pointing to? As we get those wells and we
18 pick up the ground water it has to be piped to
19 that treatment plant. So what we will have to
20 do is construct a variety of wells on people's
21 properties. Some will be those thirty years
22 major extraction wells to purge the deeper
23 aquifer, the main ground water aquifer, and
24 some will be for five years and they'll be
25 smaller sized wells, but we are still going to

1 have to pipe that ground water to the
2 treatment plant for treatment prior to
3 reinjection. That's a rather extensive
4 network of piping and wells that are going to
5 have to be constructed for awhile and we will
6 need access agreements to get in there, some
7 for construction and some to get a well on
8 somebody's property for awhile.

9 MR. SHAVITZ: What does a well look like?
10 Is it all underground?

11 MR. TENERELLA: It can be in a variety of
12 ways. I have seen architectural diagrams of
13 wells in what looks like a small utility
14 building. We need access to the well for
15 maintenance purposes, for the actual pumps and
16 it needs electricity. Other than that, the
17 piping and the well itself is underground. So
18 you may get a little structure of some type, a
19 little building or some can be flush, it
20 depends on the size of the wells. As we get
21 into design we will get into the nuances of
22 that so there won't be blatant large sized
23 buildings that are one story tall. They'll be
24 small sheds with a well in it. So they won't
25 be massive facilities in that regard. It is

1 disruptive though. It is in your back yard
2 and close in, and you might not like it there.
3 We took a look around the area where we will
4 be putting in especially the major wells.
5 Most of the wells will be drilled in either
6 undeveloped land which will be fine, out in
7 the woods someplace, on industrial facilities
8 and a few on residential properties where they
9 seem to have enough space that they can
10 probably handle a well without it being in the
11 barbeque grill or something like that. It
12 doesn't look like we will have too much of a
13 problem being invasive on someone's property
14 where it will be disruptive to them. That was
15 our first look. When we get into the really
16 detailed design, the shallow aquifer requires
17 a hundred and thirty wells. We would hope we
18 can reduce that number down so we can still
19 pick up the hot spots without having to drill
20 a hundred and thirty wells hopefully. That's
21 still a lot of wells to pump in for five years
22 and it is a concern we have.

23 (At which time a recess was taken)

24 MR. TENERELLA: I would like to say

25 before we start the next cycle of questions

1 and answers, first, that we are willing to
2 stay here as long as you have questions. So
3 don't water worry about not getting your
4 question in. We will stick it out as long as
5 you feel we need to be here. Secondly, we
6 will have a public availability session
7 tomorrow between ten and one and that's
8 listed, I am sorry, ten and two o'clock and
9 that's another opportunity for you to come in
10 on a one to one basis. It is between ten
11 o'clock and one o'clock tomorrow. So if you
12 have individual questions you want answered
13 that you feel you didn't get answered tonight,
14 please do and thirdly, we are sometime
15 available in the offices in New York if you
16 have questions in the future and you need a
17 response please contact us, either Trevor or
18 Ann will be happy to help you with that. If
19 you want to get on our mailing list be sure
20 you signed in tonight. We use that to mail
21 out further information in the future to keep
22 you informed. Those of you who need something
23 specifically please get in touch with us.
24 We're not trying to shy away from you.

25 THE SPEAKER: I have one last question.

70
1 Can someone show me on the map where they
2 believe--I would assume there are two plumes
3 in the shallow and deeper aquifer. Will
4 someone show me where they believe the plumes
5 to be at the present time.

6 MR. MORAN: The perched zones are very
7 small, very localized and there are four areas
8 identified. The regional aquifer,
9 underlining the entire study area again, this
10 boundary shows the extent of the
11 contamination.

12 THE SPEAKER: Will you please go back to
13 the other map? Are the shaded areas the
14 plumes?

15 MR. MORAN: The extent of the perched
16 zone there, that area, right.

17 THE SPEAKER: Isn't that larger area,
18 isn't that to the northeast? I see Taylor's
19 Lane and Haganaise Corporation and Taylors
20 Lane, if I am correct, runs east to west.

21 MR. MORAN: Due north.

22 THE SPEAKER: Okay, thank you.

23 MR. TENERELLA: Keep that up for a
24 second. I have some questions during the
25 break and maybe this will help those of you

1 who are asking me during the break where the
2 perched zones areas are. There is one sausage
3 shape and a few circles here. Those are the
4 perched zone areas where we will have
5 in the smaller wells for five years.
6 Particularly in the sausage area there are
7 hundred wells going in there. That's the area
8 where we have the most concern for in terms of
9 designing a lot of wells in a given area. So
10 maybe that'll help some of you who asked those
11 questions before.

12 THE SPEAKER: It seems to me that you are
13 taking the water out of the ground, you are
14 going to clean it up and put it back into the
15 ground. Am I correct in that?

16 MR. TENERELLA: Yes, sir.

17 THE SPEAKER: Well, it seems to me you
18 are not removing the source that contaminated
19 the water in the first place. If you clean up
20 this water and put it back into the ground you
21 are going to get the contaminated again
22 because you are not going after the source.
23 You are not going after the source that
24 contaminated the water in the first place. It
25 seems to me you are running around in circles.

1 The source that contaminated it in the
2 beginning is going to do it all over again.

3 MR. TENERELLA: There's a number of ways
4 we can remediate various sources. Either they
5 have to be dug up or they have to be
6 capsulated in some way. They have to be
7 removed as a source of contamination through
8 to the ground water.

9 THE SPEAKER: Are you going to do that?

10 MR. TENERELLA: The biggest example is
11 the SLI Landfill and the cap at the landfill
12 plus its monitoring well system which is part
13 of its State solid waste closure plan will
14 define that for that landfill. The monitoring
15 wells around that landfill define whether you
16 have leechae coming back out again. If it is
17 not, it is incapsulated and you are okay, the
18 ground water won't be further contaminated.

19 MR. BEARD: Bob Beard, Cinnaminson
20 Township. I have a question for Mr. Marino.
21 Mr. Marino, they are going to put some very
22 large piping from the area on River road and
23 running water up to Mount Laurel, right?

24 MR. MARINO: Right.

25 MR. BEARD: Quite honestly we were told

1 that none of that water was for use by
2 Cinnaminson, it was necessary for Mount Laurel
3 and those outlying towns. So the responsibility
4 gave earlier to this gentlemen here where you
5 said if all the wells or he said if all the
6 wells were closed would Cinnaminson have water
7 from your new piping and you gave him the
8 answer yes, we have been told quite to the
9 contrary as a Township Committee. I mean you
10 don't have to address that. You can write us
11 a letter.

12 MR. MARINO: Like I said, that would be a
13 worst case scenario. We are not planning for
14 all our wells to go sour or get contaminated
15 and we will continue to use those wells as
16 long as we can and for many more years to
17 come. That plant's due to go on line in 1995.
18 Initially none of the water will be needed in
19 Cinnaminson and will continue on to
20 Moorestown, Mount Laurel and so forth.
21 However if we have a contaminated well, we
22 will evaluate whether or not the water from
23 this treatment plant being fed to Cinnaminson
24 is more economical and more beneficial than
25 trying to put a treatment plant in a

1 residential neighborhood where our existing
2 wells are located right now. That poses a
3 problem, a logistics problem of how we are
4 going to get our treatment into our well sites
5 right now, which are in residential areas.
6 But you have may have been misled before.
7 This water can be used for Cinnaminson, for
8 Delran, for the rest of our service area and
9 connections will be made so that if water is
10 needed it can be used by the local residents,
11 wherever it is needed. It is one company.

12 MR. BEARD: I understand it is one
13 company but very specifically we were told,
14 and I think the two committee men will attest
15 to that, they said, that's going for Mount
16 Laurel and is not for Cinnaminson, and our
17 problem is, what are you running the pipes up
18 through our town for?

19 MR. MARINO: I am sorry you were misled
20 or misinformed. The source of water is there
21 and if those local wells are contaminated,
22 believe me, we will take water from the new
23 system to supply water to our customers in
24 Cinnaminson.

25 MR. BEARD: I have another question. If

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

you are going to do yours in '95 and EPA is going to do their's in the next couple years hopefully, there's going to be sort of building against each other. You will be doing construction, they'll be doing construction in the same area. Have you worked out a cohesive plan for this, Charley? Are you aware of what Mr. Marino's water company is going to do, so we don't, you know, it is going to be total chaos in Cinnaminson.

MR. TENERELLA: That's one of the reasons the design plans and specifications take a year or more, during our design period after we say this is what we are going to do. Right now we have a proposed plan. We are not ready to go any further than that until we sign a record of decision and say that is what we are going to do. Once we do that and we go to design then we start operating very specifically with property owners in the area that might be impacted, with the Water Company in this case very particularly and we have talked to Dave already about it to be sure, so we will work together. The priority here is humane drinking water, quality drinking water

1 for the population and you work around that.
2 That's what we would do in our construction
3 and we will have to work around that

4 MR. BEARD: May I suggest something? I
5 suggest that you work also with the Pennsylvania
6 Solid Waste facility down here that's going to
7 put this incinerator right in Pennsauken, not
8 more than a couple tenths of a mile from our
9 town and it will dip the hazardous waste to
10 dump hazardous waste, to come up to our
11 aquifer and it is going to be a couple
12 million dollar project. I hope you are not
13 all working against each other. You are aware
14 of the solid waste facility that's going to be
15 built down here and they'll have a hazardous
16 landfill supposedly and dumping it into the
17 landfill and leechae through and go into our
18 aquifer.

19 MR. TENERELLA: If they are doing a
20 hazardous waste landfill now they have to
21 design that on a far, far more restrictive
22 guidelines than any landfill was done
23 especially for hazardous waste in the past.
24 Are the landfill barriers absolutely
25 impermeable? They are required to do

1 monitoring, required to put liners in people
2 didn't do years ago. Years ago you opened up
3 the ground, you dumped stuff and threw soil
4 back on. If you have a hazardous waste
5 landfill that's not what you do. That's what
6 was done and that's why superfund is in
7 existence, to fix those up, but a new facility
8 has to be constructed under very strict
9 guidelines particularly in the State of New
10 Jersey. If that facility gets sited and
11 constructed in that area the chances of some
12 kind of leechae interfering with us, I don't
13 think you will see a leechae. I am not going
14 to guarantee it. That's not what we are
15 dealing with.

16 MR. BEARD: I am just raising the
17 question. Are you aware of what's going on
18 down there, are you aware of the potentials
19 that's going to affect our town and this
20 project?— You're going to fund for X number of
21 millions of dollars.

22 MR. TENERELLA: I am aware of its
23 existence for now.

24 MR. BEARD: I think we out to make the
25 proposal available to you because it is going

1 to have an impact on us and I hope it doesn't
2 impact on your vast expenditure that you
3 are going to do to remediate this. One other
4 question. You know, down in this area, if you
5 put that chart up again, where you have your
6 plume, this really isn't an engineering
7 question but I guess maybe you or Charley can
8 answer it. Take that landfill down in
9 Hoganaise. I don't know how many years,
10 twenty years, our kids played in this area and
11 they must have been ingesting, breathing all
12 this stuff. They had water pumped in down
13 there. What do we do with our kids? I know
14 it is retro, it is past tense but I don't know
15 whether anybody can answer the question, but
16 it is a concern I have with all the children
17 for twenty years have played down there,
18 hundreds of kids on Saturdays and weeknights
19 that breathe all the nonsense that was down
20 there and now you come out here and say
21 inorganic, organic contaminants.

22 MR. TENERELLA: Those are in the
23 aquifer.

24 MR. BEARD: You also say in here the
25 fumes that are coming up, you see, it might?

00729

1 MR. TENERELLA: What we are talking about
2 there is potential risk if you upset the
3 applegart. If you are drilling a well
4 the deep aquifer you may get a rush of
5 volatiles coming out of the wells from
6 deep aquifer. If you hit a hot spot you
7 get something more concentrated and you will
8 get an organic smell coming out of the well
9 So there is a risk of volatile exposure at
10 that time. When we do our remedial design
11 what we do is develop a health and safety
12 plan. That has two main purposes. One is to
13 protect the workers onsite. A lot of the
14 workers do this kind of work regularly and
15 they have to always be suited up in
16 respirators because every day of their working
17 life they are exposing themselves somewhat
18 arbitrarily to various chemicals. So to
19 protect them from even low levels of chemicals
20 a very rigid site specific health and safety
21 plan is constructed for them. Secondly,
22 another phase of the health and safety plan is
23 any kind of concerns to the public at large in
24 the area during construction. If we think
25 there might be some impact on the public we

1 will do various kinds of air monitoring, for
 2 example, to make sure we are not getting
 3 anything volatile coming out of the wall.
 4 That health and safety plan, the construction
 5 of it or the design of that, is a factor of
 6 the given site, the kind of chemicals we are
 7 dealing with, how toxic the chemicals are and
 8 what kind of concentrations and whether we
 9 think we will get any in the ground water,
 10 surface water, soils or air. A health and
 11 safety plan would be developed as part of the
 12 design.

13 MR. BEARD: Who does your construction
 14 work? It's not the DEP obviously.

15 MR. COMBS: EPA staff oversees work by,
 16 in this case, ICF as our contractor on
 17 preparing the feasibility study and getting to
 18 this point.

19 MR. BEARD: They are your engineers.

20 MR. TENERELLA: They are
 21 multi-disciplined, hydrologists, chemists,
 22 toxologists, risk assessment type people.
 23 They are a multi-disciplined consulting firm.
 24 When we go to design, normally, in a site of
 25 this size we would probably go to the U.S.

1 Army Corps of Engineers who does a lot of our
2 design and construction contract work and they
3 do the oversight for us on major construction
4 projects and they'll go out to bid to
5 specialized design firms who will actually
6 design the plan. That's when we will get into
7 the specifics of where the wells will be and
8 what exactly they'll look like and what the
9 well houses will look like. There will be a
10 design contractor whose work will be monitored
11 by the Army Corps of Engineers and us. We
12 will then all certify that design along with
13 the State of New Jersey and then we go to
14 construction and once again we use the Corps
15 of Engineers also. We go to construction
16 companies to do the actual construction
17 activities. But for those two stages we will
18 have a lot of involvement with the U.S. Army
19 Corps of Engineers. If we don't use the Corps
20 we have other consultants we use directly.

21 MR. FISHER: Fisher. I live in
22 Cinnaminson. The general flow of the water
23 is, from what you have told us so far, from
24 River Road down to Route 130?

25 MR. MORAN: That's correct.

1 MR. FISHER: Now you have two of those
2 perched zones, one above the SLI Landfill in
3 the corner, a round one and then the
4 shaped one above the SLI Landfill. They
5 have another smaller one there, two other
6 small ones. Now is there different types of
7 contaminants in these areas? If these things
8 are coming from the landfill they are going in
9 the wrong direction, aren't they?

10 MR. MORAN: The ground water flow in the
11 perched zones is depending on which way the
12 perched zone is sloped and it will flow down
13 into the regional aquifer. It is a different
14 flow.

15 MR. FISHER: In those areas it could be
16 backing up in the other direction.

17 MR. MORAN: But then flowing, falling
18 into the regional aquifer. They are the
19 same, arsenic and several other compounds.

20 MR. TENERELLA: Yes, sir?

21 THE SPEAKER: I have another question. I
22 am not sure whether it is a technical or
23 literary question. In your sheet here, page
24 four, you list under the summary of site
25 risks, you list the inorganic things as

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

arsenic, Cadmium and cyanide as potential risk
items, I guess the contaminants. I am sure
most people are familiar with arsenic and
cyanide as significant poisons and I know that
cadmium and even berylliums. Then in the
second column it says arsenic and vinyl
chloride accounted for most of the estimated
carcinogen risks for ingestion from ground
water from the aquifer. So this stuff is
pretty bad stuff is what I am getting at.
What I really would like about your MM-5 C and
it gets to a literary question rather than a
technical one, if you look on page one under
your option C description and option C
essentially holds true for all the
alternatives, it says option C uses biological
granular to extract the organic then all the
things I mentioned before are the inorganic
ones and if you move down it doesn't say
anything about organics and biological
contaminants and I would like to be reassured
that little word up at the top there, chemical
precipitation, is included and perhaps in
future things you might say, in addition to
the removal of. Is that what it really means?

1 MR. MORAN: Yes.

2 MR. TENERELLA: One difficulty we have in
3 putting one of these things together is to try
4 and make it readable and try and make a rather
5 technical discussion into a readable document
6 most people could read in a vacuum and if they
7 want further detail they can go to the thicker
8 documentation and sometimes that's tough to
9 really define it carefully. Thank you. Yes,
10 ma'am?

11 MS. MYERS: Nancy Myers. What's your
12 target date for your RFP for the next stage?

13 MR. TENERELLA: Public comment period
14 ends on June 15th. We would figure our record
15 of decision being signed by our regional
16 administrator sometime in the summer. We
17 would then turn around, after the ROD is
18 signed, and issue orders to the Corps of
19 Engineers probably, I couldn't guarantee
20 who'll get it, it either goes to the Corps of
21 Engineers or direct contractors that we have
22 and we have sort of pre-placed contracts or we
23 have contractors that are ready to go that
24 have been pre-certified to EPA and the Corps
25 operates in a similar fashion who would be

1 ready to do the design and nationally it is a
2 problem in terms of work distribution in terms
3 of getting contractors who have the staff
4 available because there is a lot of this going
5 on but we put it into a design queue and
6 usually again on a project of this size
7 probably the Corps of Engineers will get it.
8 They'll issue an RFP probably, they'll
9 probably go to one of their pre-awarded
10 contractors and start design. That usually
11 happens a few months later. We have
12 preliminary meetings with the Corps, we have
13 to get them very familiar with the site. In
14 fact what we do even during this part of our
15 process is they get the feasibility study and
16 the remedial investigation now so they can
17 start getting a sense of it, start putting
18 some of their project people on it so they get
19 a sense of the scale themselves. It is
20 competitive at the point and it depends on the
21 project, on the project size and it depends on
22 the technologies we use whether they have to
23 go out with a contract bid award for this
24 contract or whether they can use a
25 pre-placement contract. I am really not sure.

1 on the details, on the bidding process, when
2 one triggers the other.

3 MS. MYERS: I have another question. I
4 think there's a New Jersey DEP guy here.

5 MR. TENERELLA: Yes.

6 MS. MYERS: Maybe this question is for
7 him. If I have an applicable ECRA site and
8 there's acknowledged ground water
9 contamination from this landfill and I am
10 going to sell an industrial property, can I
11 get a negative declaration even though there's
12 ground water contamination

13 DEP REPRESENTATIVE: The ECRA program is
14 really a different program. You would have to
15 contact the ECRA program directly.

16 MR. TENERELLA: You probably have to talk
17 to the hazardous waste people in DEP, the ECRA
18 part of their program. Do you have a number
19 or something to give him later?

20 DEP REPRESENTATIVE: Yes.

21 MR. TENERELLA: Yes, sir?

22 THE SPEAKER: A little comment this time.
23 Have you given any thought to buyer
24 remediation at all. Apparently some of the
25 latest thinking is it is a very effective

1 means of cleaning up heavy metals. There is a
2 big article in Business Week. You should
3 certainly investigate it.

4 MR. TENERELLA: The things I have seen
5 with buyer remediation have been mostly
6 surface soil removal, not ground water. We
7 haven't really looked at it here.

8 THE SPEAKER: Maybe you should look at
9 it. Maybe some of those techniques could be
10 utilized to clean up this.

11 MR. TENERELLA: The kind of things we are
12 talking about with buyer remediation, there's
13 a certain sort of analogy to be made how we
14 are treating the ground water and treatment
15 plant as to opposed to how we are treating
16 soils with a biological agent. It is sort of
17 a rough analogy. But in terms of what you
18 really mean when you say buyer remediation, it
19 is usually with soils and surface sludges,
20 things like that.

21 THE SPEAKER: If you read the article in
22 Business Week, there might be some thought to
23 this.

24 MR. TENERELLA: In use in ground water,
25 for use in ground water remediation?

1 THE SPEAKER: Different things.

2 MR. TENERELLA: We will take a look. We
3 do have a program.

4 THE SPEAKER: June 4 issue of Business
5 Week. There may be something in there.

6 MR. TENERELLA: We have a special staff
7 that works on innovative technologies, so as
8 we do each site remediation--

9 THE SPEAKER: You may discover after you
10 put in all these wells and all these papers
11 and dig up the neighborhood and destroyed the
12 values of all the land on there, there is a
13 simpler way.

14 MR. TENERELLA: That's why we are out for
15 public comment now. If you feel there's an
16 option we haven't looked at properly you
17 should comment that way.

18 THE SPEAKER: There are three land owners
19 right over here and I can just see more
20 thousands of trucks running up Taylor's Lane.

21 MR. TENERELLA: That's why we have a
22 public comment period. We want to hear from
23 people if they feel there's something we
24 haven't really looked at that would be a
25 seriously useful technology that's useful at

1 this particular site. Our experiences in
2 those sites is most people locally don't have
3 the kind of expertise needed to make that kind
4 of judgment but we are open to any suggestion
5 that might work.

6 THE SPEAKER: Early on when you put on
7 your outlines you talked about the slurry pits
8 and the underground storage tanks and listed,
9 I guess, other agencies that are involved in
10 those. Do you know anything though about what
11 those agencies might be doing and whether or
12 not they'll be doing work while you are doing
13 this? I would like to know what will be going
14 on in the site to address those.

15 MR. TENERELLA: Just some examples would
16 be underground storage tanks are regulated
17 under a program called the CUST program and
18 are regulated in New Jersey by DEP. Tanks
19 that are found to be leaking have to be
20 removed and replaced statewide whether it is a
21 hazardous waste site or not. That's separate
22 from the superfund legislation and because it
23 is superfund, does not supercede any other
24 federal or state regulation or legislation
25 unless it has to. So other legislation is how

1 you work, you work with that. If there are
2 sludge issues that relate to say the federal
3 or state clean water acts, those regulations
4 under the clean water act legislation can be
5 used as our regulatory tool to control
6 discharge and that's what we mean in the
7 simplistic language we use about using
8 authorities from other regulatory entities.
9 Most likely most of that would be in this case
10 through the New Jersey DEP. There might be
11 some local regulations at times that might
12 also come into play just circumstantially and
13 as we see a given source, specific source and
14 we define it and we define how it is impacting
15 the problem, we can define which act triggers.
16 When we don't have a specific act to trigger
17 we can fall back on superfund and use the
18 superfund authorities to take action against
19 given owners.

20 THE SPEAKER: I thought you had mentioned
21 in the brief report, and I don't have it with
22 me, that those, where there are problem areas
23 at the site and I was wondering if they are
24 being addressed then by New Jersey DEP and do
25 you know anything about it?

1 MR. TENERELLA: We work coopeatively with
2 DEP. In fact, in some cases DEP in other
3 sites takes the lead for us to do superfund
4 clean up work but they do the oversight for
5 us. So we have a very interactive
6 relationship with the Department and its
7 personnel who work with us and through the
8 hazardous waste people in DEP we network into
9 the rest of DEP for other regulatory controls.
10 That is how we work that process. Also
11 another side of superfund is its regulatory
12 side. It is certainly a clean up through
13 funding mechanism. Superfund also has
14 options. Superfund is also used to clean up
15 spills on an emergency basis as we have
16 authority to do that and that can be triggered
17 when we need to. We also have authorities to
18 take legal action when needed. Those are the
19 kinds of things I mentioned before, when we
20 are developing a particular enforcement
21 strategy on what we consider to be potential
22 polluters we may not be as public initially as
23 to what our plans are until we go through the
24 legal process and you would know about it
25 later. Those are the kind of strategies we

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

use to capture everything.

THE SPEAKER: Since you are concerned with underground water contamination what would be your druthers, to have tanks under the ground or have tanks above the ground tight and contained? This is an unofficial gut reaction.

MR. TENERELLA: I am not really familiar with the CUST program but I think that's their preference that tanks to be above ground where they can be examined and expected and, where possible, diked so if you have a spill it is contained again as opposed to underground where if the tank rots out you don't know what's happening and one gasoline station can contaminate an entire aquifer.

THE SPEAKER: My name is Walt Drommel public health coordinator with the Burlington County Health Department. I would like to touch on several items if I may. Earlier one gentleman spoke of Swedes Lake and a question was raised by the mayor hoping we would be able to assist him with some questioning he had about his water. I think you addressed you felt it was no tie in with regard to the

007313

1 sanitary landfill or the ground water
2 situation and the problem he addressed. We
3 will be happy to follow up on that with
4 Division of Water Resources. As soon as the
5 meeting is over I will get the gentleman's
6 name and turn it over to our specialist in
7 this area. We will be able to check with
8 Division of Water Resources if we have any
9 further question and then perhaps do some
10 sampling as well. Now, back to the ground
11 water contamination study per se, since we are
12 in a recharge zone and since a number of us
13 are aware of the very preciousness of the
14 aquifer as the major water supply in this and
15 much of south Jersey, it is absolutely
16 essential, and I would like this to be on the
17 record, from our opinion locally, that any
18 particular point source of contamination that
19 is identified, such as this particular ground
20 water site in Cinnaminson, should have the
21 highest priority even though we recognize that
22 it's not contaminating any water sources that
23 we use for drinking purposes currently. There
24 is that potential in the future that given
25 enough years and given enough drawdown on this

1 very precious water supply by as much of South
2 Jersey that utilizes it, we can't have
3 complacency now. I just want to touch
4 as I think a major point. By all means
5 continue with your great task. We look
6 forward to a good and effective clean
7 because we want to have this as a water supply
8 fifty and a hundred years from now long after
9 we are all gone for those in the future. In
10 connection with the grand pipe scheme, the
11 sixty inch pipe and drawdown on water from a
12 surface source such as the Delaware River as
13 an alternative because our ground water source
14 is not plentiful enough for future years, I
15 really see it that much more important that we
16 do not only that but address all particular
17 point sources of it. We will need the ground
18 sources as well as that river for a potable
19 water supply for many years to come. My next
20 point is a question. It is somewhat of a
21 technical nature. It has to do with the
22 sanitary landfill property itself, the central
23 area of concern, and the steps that are taken
24 in order to minimize that source of further
25 contamination getting into the ground water.

1 even though the plume is fairly well contained
2 in immediate proximity to the site and even
3 though we are intending to spend many millions
4 of dollars and should do that still. We want
5 to be satisfied that we are doing it as
6 efficient and effective a job as possible
7 doing as much control on the site with the
8 leechae as a companion operation in connection
9 with whatever else you are doing through the
10 extraction wells and clean up of the
11 contamination of the ground water in that
12 general area. I would like to hear a little
13 more about that. I am a little confused too
14 about how the particular aspect of the initial
15 focus, the site itself, and how that clean up
16 will be handled to minimize the amount of
17 contamination getting into the plume that you
18 are dealing with in your clean up.

19 MR. TENERELLA: In terms of your first
20 comments, yes, thank you and we want to make
21 it clear to people we don't want to have
22 people misconstrue that what we are dealing
23 with here is potential problems not actual
24 problems. In some sites we are dealing with
25 actual problems, surface contamination

007316

1 contact, things of that nature. We are
2 dealing with a potential problem and the
3 aquifers are important in New Jersey and
4 that's why we are here. In terms of issues
5 like SLI Landfill and how that integrates
6 our program, as I said before, where there's
7 another piece of enabling legislation either
8 state or federal that allows us to remediate
9 something, stop pollution, we use that as our
10 legal mechanism to stop the pollution. In the
11 case of SLI Landfill that's a closed landfill.
12 That's already been closed since the time of
13 the initiation of our investigation with a
14 solid waste cap under the direction of the
15 State DEP and which as part of that closure
16 has a variety of monitoring wells and
17 reporting that data back to DEP. It isn't
18 that they can just monitor and let them know
19 if you have a problem. The data that we got
20 during our investigation then we used that
21 monitoring data as part of our data package
22 and since the landfill cap just went on fairly
23 recently, only a couple years ago, during our
24 feasibility study assessments we made that
25 determination that we shouldn't close off

1 completely for now what kind of options we may
2 want to have on further activity on the cap.
3 The solid waste cap may be just fine and the
4 efficiency is fine in terms of what we want to
5 do with the ground water and if we are
6 comfortable with that in a couple years, fine,
7 that's what it would say, no further action.
8 If we are uncomfortable with that we have left
9 an option here if we feel the need for further
10 work at the landfill.

11 THE SPEAKER: Which could include
12 initiation of an extensive leachate treatment
13 operation because there are juices underneath
14 that clay and cap.

15 MR. TENERELLA: I suppose so. Two
16 things. If in this case structurally or
17 strategically, since we know the landfill is
18 there and we know it's a principle potential
19 problem, we know it's a principle problem in
20 the area, and it's the largest in scale, we
21 want to take a pause and instead of making
22 that decision in one ROD, one record of
23 decision, now and hold off and do another
24 operable unit just to make sure. It is just a
25 strategy we took. Another option we could

1 have taken was sign a ROD with a no decision
2 and then in three years if we found we had
3 great difficulty with the landfill, if we
4 screwing up our ground water systems, or
5 the ROD because that's something the agency
6 can do also.

7 THE SPEAKER: I don't know if there's
8 infiltration there. I think it is constant to
9 the depth.

10 MR. TENERELLA: Into the landfill or
11 exfiltration?

12 THE SPEAKER: It is in the water.

13 MR. TENERELLA: And that's the purpose of
14 the pump and treat scheme, to get that to a
15 point where you have flushed the aquifer,
16 that's clean, and you are not getting the
17 mobility, you are not getting the kind of
18 mobility of the contaminants you are getting
19 today.

20 THE SPEAKER: I just wonder how many of
21 the contaminants can get out.

22 MR. TENERELLA: There's a concern that
23 the kind of technologies we are proposing,
24 while they are the best we have to offer

25 today, may not be the best solutions to

1 twenty years from now. What we are doing at
2 hazardous waste sites today in 1990 and what
3 we did in the early '80's is already night and
4 day. Just as technology develops further and
5 we have better solutions for problems that we
6 don't have today. Unfortunately we can't go
7 twenty years. We have to go with what we have
8 today. It will be easy to Monday morning
9 quarterback us in 15 years. We have to do
10 something now.

11 THE SPEAKER: I think what the gentleman
12 was trying to say and it kind of concerns me
13 is he feels that the quarry operation
14 penetrated the aquifer.

15 MR. COMBS: It did.

16 THE SPEAKER: You said it was two hundred
17 ninety one feet to the bottom of the aquifer,
18 I don't know where the top is. The top is
19 somewhat higher.

20 MR. MARINO: That's a depth of our well
21 at New Albany Road. It slopes upwards as it
22 goes towards the river and outcrops in
23 Pennsylvania. On Taylors farm down there you
24 may hit bedrock at fifty, fifty-five feet. So
25 it is sloping upwards.

1 THE SPEAKER: I think the concern, what
2 the gentleman was saying is you have water
3 flowing through the trash that was dumped
4 there, not just seepage.

5 MR. TENERELLA: Ken Willis is one of our
6 specialists in EPA. In fact he used to be the
7 site manager here. He's a ground water expert
8 for us.

9 MR. WILLIS: The levels of contamination
10 that were detected in the older part of the
11 landfill where they did put it below the water
12 table were lower than the newer parts of the
13 landfill. So in effect over the last thirty
14 or forty years, however long it's been, this
15 trash has been sitting there, it has been
16 flushed and much of the contamination has been
17 removed already. As when the extraction
18 system is in place, the water will also
19 because you are going to be drawing the water
20 out which will bring the level of the garbage
21 that was then dumped down in there below the
22 water table. So it will take it out of that
23 system. It is pumped in down grade.

24 THE SPEAKER: Richard Strobel,
25 Cinnaminson. I was wondering if you can

1 modify and adapt to keep in line with the new
2 technologies as they develop. This is a
3 thirty year project and as we get the new
4 technology, state of the art changes, can you
5 modify and adapt or are you fixed once you
6 give your ROD with the cost and the plan that
7 you are going to implement?

8 MR. TENERELLA: I sort of have two
9 reactions to that. Just based on personal
10 observation of how we are operating superfund
11 to date. Any ROD that was signed, any record
12 of decision in the early days, the early '80's
13 before the 1986 revision to superfund which
14 massively changed the program, any ROD prior
15 to that date has not been changed. We are
16 sticking with the ROD's as the agency decided.
17 That's it. That's the decision that was made.
18 Pre-existing '86 we are sticking with them.
19 Technology has changed in that period of time
20 but the early ROD's have not been changed.
21 Since '86, again now technology, in 1991 as we
22 get into another reauthorization cycle we may
23 have some new mechanisms that we use because
24 of congressional mandate at that time with the
25 new superfund in 1991 to do things differently

1 based on public pressure to Congress that
2 maybe they feel there's a change that
3 to keep up with technology. The one thing
4 that would trigger a change in a ROD
5 something is not working over the course of
6 the years that we would reopen a ROD.
7 haven't known that to happen yet but we are
8 relatively new in the process. The sites that
9 are being actually in construction now are
10 sites we were studying in the early '80's. It
11 is early, relatively early in the process to
12 make a determination as to whether there will
13 be a lot of ROD's that perhaps might need
14 reopening. It is really early to tell whether
15 we will have some structural ability to do
16 that.

17 THE SPEAKER: Did I understand your
18 comment correctly, this is the first kind of
19 contamination of this sort you have been
20 dealing with, this kind of ground water
21 contamination, you haven't dealt with this
22 particular type before?

23 MR. TENERELLA: No. I don't remember
24 saying something like that.

25 THE SPEAKER: You indicated that you

1 Canal and things you have done before were
2 easy, this is tough.

3 MR. TENERELLA: In the early days of
4 superfund the projects that we had to work
5 with, the sites that we saw in the early
6 were major landfills mostly or they were
7 sites, abandoned dump sites that perhaps
8 somebody wasn't in and opened up the dump and
9 just dumped drums and drums of material loose
10 in the middle of no place, covered it over
11 and walked away. Love Canal was that kind of
12 situation. In fact if you look at it in a
13 different perspective, the company involved
14 there thought maybe they were being
15 environmentally sensitive by dumping their
16 waste in Niagra Falls. It was an open pit
17 that was never used as a canal. They bought
18 it, they dumped waste in it and covered it
19 over and then sold it to the city. That was
20 sort of the choice. It turned out to be a big
21 mistake to do that. When Love Canal triggered
22 superfund everyone was looking at that kind of
23 situation initially, I bet we have other
24 landfills like that. In fact, right in Niagra
25 Falls right away we found three other

1 landfills that were similarly designed, dump
2 the chemicals, cover it over and walk away.
3 So that became the center of our activity in
4 the early days. That's where we invented
5 community relations as we do it in superfund
6 because the community up there needed to be
7 involved with us and that's where the early
8 technologies started to develop where we
9 talked about caps and leechae collection
10 systems and ground water monitoring systems.
11 In fact, at that time, we weren't even talking
12 about ground water flush and treat systems.
13 In the early days that's what we were looking
14 at in terms of what a superfund site was to a
15 lot of people. As we looked at sites
16 nationally after we opened up the superfund
17 and said, let's go look, we found sites with a
18 variety of contaminants and variety of
19 situations and suddenly we needed a variety of
20 technologies and a whole different set of
21 systems to deal with these sites, many of
22 which turned out to be these ground water
23 flush systems. We have a lot of those in
24 Jersey now, a number of them in the pinelands
25 that will be operating again for thirty years

007325

1 to try and purge the pinelands and get that
2 back to a pristine condition. In New Jersey
3 that's a relatively common technology. What I
4 am saying was that's now new here but new
5 compared to the early days of superfund when
6 that was not the kind of technology we were
7 looking at for any site.

8 THE SPEAKER: How much of the aquifer is
9 going to be treated? It's a big aquifer
10 isn't it?

11 MR. TENERELLA: In area you mean?

12 THE SPEAKER: Area, volume.

13 MR. MORAN: Again, this deep extraction
14 system here will catch all the ground water
15 flowing from this area here, all the
16 contaminated ground water was captured.

17 THE SPEAKER: He's asking what's the
18 estimated volume at that point of the aquifer
19 that your going to be recycling.

20 MR. MARINO: You are looking at about a
21 million and a half gallons a day that's going
22 to be recycled and put back into the ground,
23 three hundred sixty five days a year for
24 thirty years. If someone wants to run that
25 out on a calendar--

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

THE SPEAKER: How many wells for the thirty year aquifer?

MR. MORAN: Seven wells.

THE SPEAKER: Are we only talking about that one treatment plant at the bottom of the chart?

MR. MORAN: Right.

THE SPEAKER: That will cover both the perched zone and regional aquifer?

MR. MARINO: That's the total combined for all wells into one plant.

THE SPEAKER: The other question I have is the information on cancer deaths on page four, how was that information derived?

MR. MORAN: Very conservative estimate based on a person living there for seven years drinking a certain amount of water every day and it is calculated against the cancer risk from a certain level of compounds.

THE SPEAKER: You don't anticipate this actually happening?

MR. MORAN: The water has not been used to drink.

THE SPEAKER: None of that water is in a water supply?

1 MR. TENERELLA: It is a potential risk
2 that we have to establish before we spend
3 superfund money. If we can't establish a
4 health risk or risk to the environment, the
5 natural environment, we can't spend money, but
6 the risks here are associated with people
7 say, drinking from the perched zones which
8 they don't but if they did, that would be the
9 risk.

10 THE SPEAKER: So there is no risk.

11 MR. TENERELLA: At the moment there is a
12 potential risk so we want to take the action.

13 THE SPEAKER: If you know there's a
14 potential risk and they're putting these
15 aqueducts along from the Delaware River, that
16 takes care of the problem. I don't understand
17 the logic. The whole thing is beyond my
18 ability to comprehend.

19 MR. TENERELLA: Perhaps unlike government
20 which usually deals in a short term as opposed
21 to a long term view of things, these superfund
22 things are looking at generations.

23 THE SPEAKER: He has a long term
24 solution?

25 MR. MARINO: The sizing of the plant is

1 crucial here. We are looking at starting off
2 this treatment plant at thirty million gallons
3 a day and that's with the assumption that all
4 the wells in Cinnaminson remain free of
5 contamination. If those wells get
6 contaminated, and Bob this may be where the
7 confusion comes in, at thirty MGD, if no
8 water, if the water in Cinnaminson, the wells,
9 get contaminated and like the two wells we
10 have in New Albany Road you are looking at two
11 million gallons out of there, Pomona Road
12 station there is another two million gallons
13 there. We have to take all those amounts and
14 add them up and then I have to increase the
15 capacity of your plant. It's not like there's
16 a capacity of that plant automatically goes up
17 from thirty to fifty MGD with no expense. It
18 is either we will incur an expense to increase
19 the size of our plant to cover these
20 contaminated wells or they spend federal
21 dollars to remediate this area. So we build a
22 thirty MGD plant and continue using our wells.
23 You have to look at the economics of it as
24 well.

25 THE SPEAKER: But there's two aqueducts

1 The contingency is already there for two
2 aqueducts. The easements I gave you that's
3 what it indicated.

4 MR. MARINO: One's taking water from the
5 river and one's pumping it away. The whole
6 concept is the amount of water the plant will
7 produce and that's based on where the
8 completed water is going. If there's more
9 completion in Cinnaminson then there's a
10 dollar amount fixed to it.

11 THE SPEAKER: The taxpayer will pay for
12 it one way or another. Either way it's going
13 to be on our backs.

14 MR. MARINO: The customers of New Jersey
15 American Water Company can consider going to
16 pay for the increase in the plant or everybody
17 in the United States is going to help pay for
18 the clean up of this landfill. There's a
19 bigger tax base there with the people of the
20 United States.

21 MAYOR ELEUTERI: I have a question for
22 you. How often does the water company test
23 the wells?

24 MR. MARINO: We have a routine monitoring
25 program that exceeds what's required. For

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

ground water sources it is required the samples be collected once every three months because of the protected nature of ground water sources. However, because of the location of the landfill and the impending problems, we have a monthly monitoring program that we sample all our wells in this vicinity to maintain a close tight net on any contamination that could possibly enter our wells and at very extreme levels, point five parts per billion is our detection limits. So we have a fine tight net on it looking for any contamination of our wells. That's over and above what's required.

MAYOR ELEUTRI: Do you file your reports with any State agency?

MR. MARINO: We are required under the Safe Drinking Water Act, especially with the A280 parameters, the hazardous compounds, a lot of the ones you see here, we are required to submit reports to the DEP.

MAYOR ELEUTRI: You do this on a monthly basis?

MR. MARINO: Those reports are only required twice a year. We do all this

1 monitoring on our own so that I can stand here
2 at meetings like this and tell our customers
3 that they don't have anything to worry about.
4 Without doing that monitoring you can't do
5 that.

6 MR. TENERELLA: Any other questions?
7 Yes, ma'am?

8 THE SPEAKER: The budget to pay for all
9 this, it is worked out and you know where the
10 money is coming from? Are you going to be
11 waiting for reallocation? Where does the
12 money come from?

13 MR. TENERELLA: It is two ways we fund a
14 superfund project. One is through the
15 superfund where we have a fund on
16 petrol-chemical product and tax revenues that
17 Congress gives us in these appropriations a
18 certain amount of money in every cycle. By
19 the time you go to construction at Cinnaminson
20 here we will be in the next appropriations
21 cycle. Congress does an interesting thing.
22 First they approve money, they appropriate
23 money but then they only authorize so much per
24 year after that. We have to work under those
25 guidelines every year. It is Congress that

1 tells us how much money we are going to spend.
2 It is Congress that tells us how we are going
3 to run the superfund program and it is the
4 public that tells Congress this is what they
5 want. If the public didn't want superfund at
6 this rate we wouldn't have it. But Congress
7 seems to be reacting to strong public opinion
8 that superfund sites should be cleaned up at
9 the expense, whatever that might be, and other
10 people would say something else is more
11 important, whether it is homeless problems or
12 dealing with restricting smoking or defense
13 projects or whatever but all that aside,
14 Congress tells us, here's how much we want you
15 to spend and/or here is the structure, the
16 legal structure we want you to use to get
17 other people to pay and the other people who
18 we would look to to pay would be those who we
19 feel are liable for the clean up because of
20 past actions, whether they were an owner of
21 the facility or someone who dumped there or
22 whatever and those are what we call
23 potentially responsible parties and we have a
24 series of those people who we feel might be
25 involved at the site and we would work with

1 them to to see what kind of participation they
2 might have in the clean up and there are
3 various ways in which we would oversee a clean
4 up using those mechanisms.

5 THE SPEAKER: Do you have an estimate
6 what you will spend thus far?

7 MR. TENERELLA: About two million so far
8 which is about average, a little high maybe.
9 The clean up projected right now is about
10 twenty million dollars and that's about the
11 national average. To give you some other
12 perspective, we had another ground water clean
13 up in the pinelands with a record of decision
14 signed a couple of weeks ago that's going to
15 cost a hundred and forty-two million dollars
16 for the clean up. So these ground water pump
17 and treat can get very expensive.

18 THE SPEAKER: I think you ought to
19 realize the Delaware River is not an
20 unexhaustable supply of water and maybe
21 somebody out to describe to them the size of
22 the Raritan Formation and how much is used for
23 the Raritan water supply.

24 MR. TENERELLA: I think you just said it
25 all for us but the State of New Jersey, when

1 we do some of these criteria are listed in a
2 proposed plan. How we determine which
3 alternatives are the most available including
4 things like compliance with something
5 ARARS which is another acronym for all kinds
6 of other regulations either federal or state.
7 One of the primary regulations in the State of
8 New Jersey that's of concern to the State that
9 must be complied with at the superfund site
10 with ground water problems, if you have
11 an aquifer and it is a large aquifer you better
12 turn that back into drinking water as close
13 close as you can get to it technically and
14 that's a mandate that Jersey has and we then
15 deal with that and we design our superfund
16 clean ups with that in mind.

17 THE SPEAKER: Another question occurred.
18 You say you go until '91, you are funded until
19 then and then you will get funded for another
20 period of time until maybe '96 or something.
21 You have a thirty year project. Let's say you
22 get funded in '91 to '96 and forevermore,
23 never again, they pull the plug on the pumps
24 what?

25 MR. TENERELLA: What a great question.

1 with no answer. If you project out the number
2 of sites that we have nationally and if you
3 estimate, which is something on the order of
4 almost two thousand I think now, and if you
5 suggested that the average clean up runs
6 twenty million, and every once in a while you
7 get a wierdo that goes for a hundred and
8 forty, and you break that fund out, you are
9 talking about billions and billions and
10 billions of dollars present worth. What is
11 the reality of commitment over the thirty year
12 period of time? It's not there in the
13 legislation. It is there every five years
14 with a Congressional appropriation.

15 THE SPEAKER: You don't put the twenty
16 billion in a trust fund or something like
17 that?

18 MR. TENERELLA: It doesn't work real well
19 when you do that in terms of national budget
20 consideration. Superfund is an expensive
21 program. Millions and millions of dollars and
22 in terms of other social programs it is quite
23 overwhelming in terms of the amount of money
24 involved. On the other hand, in terms of
25 defense allocations nationally, it balances

1 out a little bit in terms of protecting the
2 environment. It is another Congressional
3 call. They feel that's the amount they want
4 to give us in a given five year period. If
5 the public screams we should get more, we will
6 get more and if the public screams you're
7 crazy, that's too much, the program will shift
8 in that direction.

9 THE SPEAKER: Have you cleaned any of
10 them up at all? Has anything really been
11 cleaned up to the point where you can say you
12 have done a good job?

13 MR. TENERELLA: Going back to the Love
14 Canal experience again, the citizens of that
15 area have been under the gun on superfund
16 since 1980 and have been under a lot of
17 stress. Love Canal as a site is stablized.
18 The cap has been on for a number of years.
19 This is a clay and plastic cover on both the
20 canal area and a variety of homes around the
21 canal that were demolished and incorporated
22 into this big cap. There were streams going
23 into the area that had contaminants in them.
24 The streams were remediated. It's canal has a
25 permanent leechae collection system around it.

723700

1 and that leechae is collected and treated at
2 the treatment facility just off site at Love
3 Canal and the leechae from the plant is sent
4 off to the City's treatment plant at Niagra
5 Falls. That's all been done and in fact
6 recently, after many years of study and
7 restudy, the decisions were made by EPA that
8 the area surrounding the canal is habitable.
9 People were concerned about houses in the
10 surrounding area and I was involved in that.
11 It took about five years just to determine, is
12 that really so. That is now going to take
13 place. So the areas now has been revitalized
14 back as a neighborhood. Is that a clean up?
15 I think the answer there would be yes.
16 However legally, the agency doesn't consider
17 that as being a final clean up yet and they
18 have not delisted the site yet. We have these
19 five year reviews to make sure things are
20 working properly and the de-listing procedure
21 is more complicated than just saying, okay it
22 is finished, walk away. We want to certify
23 that the site is environmentally safe and
24 certainly safe to the public before we walk.

25 THE SPEAKER: You feel in thirty years

1 you will have cleaned up this potential hazard
2 to the point there will be no further hazard
3 here?

4 MR. TENERELLA: We would certainly
5 so and I always have to caveat on the fact
6 that ground water pump and treat schemes in
7 terms of the nuances, the very low
8 concentrations of chemicals hopefully will be
9 reached but we can't prove it yet because we
10 have never done it. We just have to live with
11 that because that's the limit on our
12 technology right now and our knowledge.

13 THE SPEAKER: Joe Lobiski, Cinnaminson.
14 You say twenty million dollars, estimated.
15 That's the thirty year?

16 MR. TENERELLA: Everything, present
17 worth.

18 THE SPEAKER: Once that is applied for,
19 once it is approved and once it is funded, the
20 entire twenty million dollars is appropriated
21 and budgted? It comes out of the funds?

22 MR. TENERELLA: Yes.

23 THE SPEAKER: I think you are deceiving
24 people here about pulling the plug. Once it

25 is funded, the funds are there to complete the

00 73.39

1 entire thirty years capital construction
2 operation and maintenance, correct, for a
3 thirty year cycle?

4 MR. TENERELLA: Right.

5 THE SPEAKER: There's no pulling the plug
6 after ten years? It is encumbered? In a
7 construction project, it is encumbered,
8 correct?

9 MR. TENERELLA: I am trying to think of
10 the exact language.

11 THE SPEAKER: And if the program includes
12 operation and maintenance for a certain period
13 of time, so when you go in for the
14 appropriation--

15 MR. TENERELLA: Let me add something to
16 that. The capital construction costs are born
17 by EPA.

18 THE SPEAKER: How many dollars is that?
19 Whatever, but it is less than twenty?

20 MR. TENERELLA: Yes. The first year O&M
21 costs, EPA is charged with. The State of New
22 Jersey has a commitment too for ten percent
23 match on that. So in terms of that
24 inter-relationship between EPA and the State
25 there's a financial match that's involved

1 it is funded by the superfund and not by
2 private parties.

3 THE SPEAKER: But they also would
4 the same way.

5 MR. TENERELLA: Yes. First for the
6 design. The design is the next thing that
7 gets funded and after the design, the
8 construction. When the construction is
9 funded, the construction money is normally in
10 a block of funds for construction, not O&M.
11 See capital construction is funded but the O&M
12 is not.

13 THE SPEAKER: The O&M, if you are
14 estimating thirty years, when the O&M portion
15 is funded will it be for the thirty years or
16 has it been like the ones that are started?

17 MR. TENERELLA: O&M costs consider
18 covered overtime and become a State funded
19 issue for O&M.

20 THE SPEAKER: You said the State only
21 matches ten percent?

22 MR. TENERELLA: On construction.

23 THE SPEAKER: If this is eight million we
24 give you ten percent?

25 MR. TENERELLA: In fact they give it

1 us on the design. They'll do a ten percent
 2 match on design, ten percent match on
 3 construction capital cost and first year O&M
 4 and then it goes to a cycle of operation and
 5 maintenance where the State takes over the
 6 cost which is another reason that all costs
 7 for superfund, it is normally in most sites,
 8 the O&M costs are not the big expense. It is
 9 capital construction costs. In every ROD,
 10 every record of decision we sign we cannot
 11 sign the record of decision until the State
 12 concurs with it. The Commissioner of the
 13 State has to concur with the record of
 14 decision document before it is even signed by
 15 our regional administrator. So there's a
 16 totally integrated relationship between the
 17 State and the federal government.

18 THE SPEAKER: That's fine.

19 MR. TENERELLA: At that time we will have
 20 the '91 appropriation settlement. The money
 21 would be allocated off that block. That would
 22 probably be the appropriation which would get
 23 you your immediate capital construction costs
 24 in a block sum committed off that
 25 appropriation.

007340

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

THE SPEAKER: Now we are going back to Ray's question about pulling the plug on the State aspect. So when they signed on their initial before the ROD, they didn't sign for after the preliminary?

MR. TENERELLA: I would assume that the reality would be they would have the same kind of appropriations issues over the long term.

THE SPEAKER: I am confused. I was going to say it doesn't matter. Maybe you can explain one thing to me. Estimated present worth, I kind of thought that was the total of what it was going to cost. The numbers kind of confuse me. If you take seven hundred fifty one thousand times thirty it comes out to twenty-two five, twenty two and a half and you throw in the eight point three that comes out to thirty point eight and you are saying it is twenty-two.

MR. MORAN: With the five percent discount over thirty years.

MR. TENERELLA: I am afraid I don't know it either and I had to have it explained to me because when you start discounting overtime the costs start really dropping and I forget

007348

1 the rates they used. I forget the percentages
2 they used to project. I don't know the
3 details of how you get to that in terms of
4 There's a formula in which you discount. You
5 have things in the back. Another thing
6 aware of, when you see these costs, these
7 costs are not used for projecting specific
8 costs when we get to say a design. These are
9 used only generally for the decision process.
10 Cost is not a principle variable in which
11 decision we make. We don't go for the low
12 cost because that's what we get. We do these
13 estimates because a lot of times, as you see
14 here, you might get technological issues where
15 you can go with this technology or another one
16 and you will see some savings and I have to
17 give you another example. It is Woodlands,
18 which is this hundred and forty-two million
19 dollar clean up. It had a technology based
20 option that saved twenty million dollars. It
21 was sort of splitting hairs a little bit but
22 there was one where there was a bit of a cost
23 savings and still get the technology. You can
24 choose those options. We use these cost
25 estimates for those kind of decision making.

1 But they're not the absolute drop dead cost.
2 What happens is we go to design and we get the
3 contractors award bids and all of that goes
4 and the Corps comes back with an exact cost
5 figure and we go back to headquarters and
6 we get that money and with a ten percent match
7 from the State. We go to construction, we get
8 an exact figure at construction time, ten
9 percent match from the State and then we go to
10 O&M and we haven't gotten into big O&M cost,
11 we haven't gotten into the experience of it,
12 either us or the State, in terms of big bucks.
13 What I have heard under discussion just
14 generally, because again it is something that
15 hasn't happened in the program long term yet,
16 is if it is fund related O&M costs and O&M
17 procedurally is how do you do that, chances
18 are we will see companies start being formed
19 to provide that kind of service and that's the
20 kind of contract relationships that will have
21 to be incurred as an O&M cost overtime. Now
22 that all recombines into newer technologies
23 and different ways of doing things to the
24 point where after awhile the discussion could
25 get rather theoretical and it almost becomes


1 other than theoretical discussion at this
2 level at the local level. That's the kind of
3 thing they deal with in Washington.

4 THE SPEAKER: In reality if your
5 estimates are right as to capital and all of
6 that it is a thirty million dollar project, not
7 a twenty million dollar project. Thirty times
8 three quarters of a million is twenty-two five
9 approximately, throw on another eight for the
10 capital.

11 MR. TENERELLA: No. Discounting really
12 throws the figures out. I need to say this to
13 this group in particular. I want to thank you
14 for staying and the questions you have asked.
15 I have been to a lot of site meetings before
16 under the program and this audience was, the
17 questions were just very intelligent and well
18 phrased and the people just very knowledgable
19 in this area. It was almost fun to be here
20 and answer the questions relative to some
21 other site meetings we go to. You were a very
22 interesting audience and you people had some
23 great questions. I am sorry I don't have
24 great answers for some of them. Thank you.

25 (At which time the hearing was adjourned.)

1 I, GARY LONG, Notary Public of the State of
2 New Jersey, do hereby certify that the foregoing is
3 a true and accurate transcript of the above
4 proceedings.

5
6
7
8 
9 GARY LONG, NOTARY PUBLIC

10 This transcript is not to be copied unless
11 under the direct control and supervision of the
12 certifying reporter.

13
14 DATE: 6-5-90
15
16
17
18
19

20 RICHARD A. MERLINO & ASSOCIATES
21 Certified Shorthand Reporters
22 7 Montague Avenue
23 Trenton, New Jersey 08628
24
25