

ORIGINAL

70404

1

1 HAVERSTRAW COMMUNITY CENTER

2 HAVERSTRAW, NEW YORK

3 -----

4 Public Meeting on EPA's Proposed Plan to

5 Clean Up the PCB Contamination in the

6 Upper Hudson River

7

8 Friday, February 9, 2001

9 -----

10

11 AGENDA

12 Opening Remarks by Congressman Benjamin Gilman

13 Welcome: ANN RYCHLENSKI,
14 Communications Division,
USEPA

15 Overview: RICHARD CASPE, Director
16 Superfund Division, USEPA

17 DOUG TOMCHUK, Project
Manager, USEPA

18 Public Comments and Q&A

19

20

21 Reported by: KAREN SCHMIEDER, CSR
22 Registered Diplomate Reporter

23 SCHMIEDER & ASSOCIATES

24 Professional Shorthand Reporters

82 Washington Street, Poughkeepsie NY 12601

PH. (845)452-1988 FAX (845)452-2071

10.8117

1 MAYOR WASSMER: Good evening,
2 ladies and gentlemen. My name is Bud
3 Wassmer. I'm the mayor of the Village of
4 Haverstraw. I want to welcome everyone here
5 to our community center. We're very pleased
6 to host this meeting.

7 As you may know the Village of
8 Haverstraw is at the widest part of the
9 Hudson, and we have on the table right now a
10 major waterfront project where we will
11 reclaim old industrial brown fields, open up
12 over two miles of walking paths right on the
13 river's edge, install fishing piers and
14 create a beautiful park-like atmosphere.

15 We realize that the Hudson River is
16 a tremendous asset to our community. We want
17 to see it and our environment clean for us,
18 for our children and for our grandchildren.

19 I want to tip my hat to Congressman
20 Gilman for bringing this meeting to our
21 village. He's done a wonderful job for our
22 community and for Rockland County. Without
23 further adieu, I give you our Congressman,
24 Ben Gilman.

1 (Applause.)

2 CONGRESSMAN GILMAN: Thank you.

3 Thank you, Mayor. Good evening, ladies and
4 gentlemen, and our EPA representatives. I
5 want to take this opportunity, first of all,
6 to thank our representatives from the
7 Environmental Protection Agency and all of
8 you who have taken the time to participate
9 this evening in a very important forum.

10 Let me introduce our EPA
11 representatives who are here. Ann
12 Rychlenski, Public Affairs Specialist for
13 EPA. Richard Caspe, Director of Superfund
14 Division, EPA Region 2. He's got a few
15 problems on his shoulders, trying to clean up
16 our areas. Doug Tomchuk, Project Manager of
17 EPA, do you go.

18 And now we will proceed with an
19 open forum. I'll take just a moment to try
20 to relate to you our important mission
21 tonight.

22 As many of you are aware, during a
23 30-year period, commencing in 1977, PCBs were
24 discharged into the Hudson River from two

1 General Electric capacitor manufacturing
2 plants that are located up in Fort Edward and
3 Hudson Falls, New York. As a result of their
4 manufacturing, many of GE's PCBs today remain
5 concentrated in various hot spots in the
6 sediments of the upper Hudson.

7 In 1983 a 200-mile stretch of the
8 Hudson River, from Hudson Falls to the
9 Battery of New York City, was classified as a
10 Superfund site, which then put it in the
11 jurisdiction of the EPA.

12 In 1984 EPA made an interim
13 no-action decision for the PCB-contaminated
14 sediments, and since 1990 the agency has been
15 conducting a reassessment of that 1984
16 decision. In December of this past year the
17 EPA offered its preferred remedy for the
18 Hudson River PCBs Superfund site. Its
19 proposed plan consists of targeted dredging
20 of some 2.65 million cubic yards of
21 contaminated sediment that contains over
22 100,000 pounds of PCBs from the upper Hudson
23 River. Up until April 17th of this year,
24 2001, EPA will be accepting public comment on

1 its proposed plan for cleaning up the Hudson.
2 The final decision will substantially impact
3 the future of our entire Hudson River valley
4 area.

5 Accordingly, in coordination with
6 the EPA, I am hosting the town hall meeting
7 for all of you in the 20th Congressional
8 District so that we all may learn more about
9 the proposed EPA plan and have the
10 opportunity to make some suggestions, have
11 some input, ask appropriate questions, and
12 give formal comment on preferred targeted
13 dredging remedies. We look forward to
14 hearing from your friends at EPA as well as
15 all the comments and questions of the many of
16 you who are assembled here tonight.

17 Joining us tonight from the EPA, as
18 I mentioned, is the public affairs specialist
19 Ann Rychlenski, who I introduced earlier,
20 Richard Caspe again, our Director of the
21 Superfund Division and Doug Tomchuk, Project
22 Manager. Allison Hess, Project Manager,
23 Marian Olsen, Environmental Scientist and
24 Doug Fischer, counsel, are also with us

1 tonight.

2 At this time I would like to turn
3 the floor over to Ann Rychlenski from the EPA
4 who will discuss the agenda for this evening
5 and outline the procedures that we'll be
6 following. Ann, thank you.

7 MS. RYCHLENSKI: Thank you,
8 Congressman Gilman, and thank you for having
9 us here tonight.

10 Very quickly, so that we can get on
11 with our program, as Congressman Gilman
12 mentioned, we are taking public comment on
13 our proposed plan, and that public comment is
14 being taken here tonight. We have a court
15 reporter here, so I'm going to ask any of you
16 that have questions or comments to please
17 come up to the microphone. We'll call you
18 up, those of you who have signed in on the
19 index cards. If there is anyone here that
20 wants to come to the microphone to ask a
21 question or give a comment, please fill out
22 an index card in the back, and you'll get
23 called up in the order that the cards were
24 received.

1 When you do come up, please speak
2 your name clearly and just tell us where
3 you're from so that we can get a good record
4 of the proceedings tonight. If you want to
5 give written comment tonight, you can. We
6 have comment boxes in the back, large index
7 cards that you could fill out. Again,
8 whatever your opinion may be, if you want to
9 fill it in, please do so, and just put your
10 name and where you're from on there so we can
11 keep a record. If you want to send your
12 comments into EPA, you can do so.

13 I hope that you've all taken the
14 handouts that we have out there in the back
15 of the room. There is a whole slew of them.
16 Please take one of everything, including the
17 proposed plan. And in the proposed plan --
18 that's the larger document that's out there,
19 kind of a light blue -- that is the one that
20 has all of the information in there, if you
21 want to send your comments, and if you want
22 more information about this project, we have
23 a website, our website is at
24 www.epa.gov/Hudson Hudson, and I hope you'll

1 avail yourselves of that.

2 This evening Richard is going to
3 talk about the project itself and what our
4 proposal is. And then we are going to go to
5 the audience and get questions and comments.
6 We ask that you keep your comments and
7 questions brief so that all your neighbors
8 can get to the mic and just keep an eye on
9 Doug there at the end. If you go over your
10 time too much, Doug will start waving a
11 little yellow or red sign at you to let you
12 know that it is time to wrap it up.

13 Without further adieu, I'm going to
14 turn this over to Rich.

15 MR. CASPE: I usually did do this
16 from behind a lectern, and I'm going to do it
17 up here this time. It will be a little bit
18 different for me, but it we should be all
19 right. This is the seventh public meeting
20 that we have had since December 12th when we
21 announced our plan to remediate the Hudson
22 River.

23 I would like to start off by giving
24 you a little refresher on the site and what

1 we've proposed. So if we start with the
2 first slide, as Congressman said, it is a
3 200-mile site. It goes basically from Fort
4 Edward in the upper around 40 miles above the
5 federal dam in Troy on down to the battery in
6 New York City. The study area that we looked
7 at intensively was the top 40 miles, that
8 upper Hudson River, above the Troy dam.

9 Next slide, please, Doug.

10 The reason we did that is because
11 that's where most of the contamination sits,
12 in a fairly hot spot type setting. There's
13 contamination in the lower river certainly,
14 and that's washed out through the years, but
15 that's very disperse; whereas, we have 40 hot
16 spots estimated within the upper river. We
17 have divided, for study stake, into three
18 sections. The first section is the most
19 contaminated; it is what we call the Thompson
20 Island Pool. It goes from Fort Edward on
21 down to the Thomson Island Dam. There are 40
22 historic hot spots that New York State DEC
23 identified many years ago; 20 of those hot
24 spots lie in the first section. It is

1 roughly six miles long. The second section
2 is around five miles long and 15 of the hot
3 spots lie within it. And the last section is
4 29 miles long, and five of the remaining hot
5 spots lie within it. So it is 40 miles that
6 we have done an intensive study.

7 In doing the study, the study took
8 ten years. Some people have said we've
9 rushed to conclusions. Ten years isn't much
10 of a rush. If you look at it, what have we
11 learned? Well, we have learned and we know
12 that PCBs have serious health impacts. We
13 know that over 1 million pounds of PCBs were
14 discharged by General Electric company into
15 the river. We know that we have unacceptable
16 fish contamination, certainly in the upper 40
17 miles, and below that as well. In the upper
18 40 miles we have fish contaminations which we
19 estimate at over a hundred times the
20 acceptable levels. We know that people are
21 eating the fish despite fish consumption
22 advisories. New York State Department of
23 Health -- actually the last survey that was
24 done in 1996 -- and that's not in the lower

1 Hudson, that's in the upper Hudson where
2 there's a complete fish consumption advisory
3 to eat none. Six of ten people that were
4 interviewed in fact had fish in their
5 possession, which is -- I think I got that
6 wrong on the six. It is a little bit less
7 than that. One out of six, I'm sorry. One
8 out of six had fish in their possession, and
9 one out of twelve roughly had more than one
10 fish in their possession. We know that birds
11 and animals are continuing to eat the fish.

12 We measured the PCBs, and I'll go
13 over this in a little bit more detail in
14 section one from when they flow into that
15 section from the upper river and they flow
16 out of that section, and we know that by the
17 time they flow out the PCB levels in the
18 water itself are over three times greater
19 than they were when they came in. And the
20 only place it could be coming from is the
21 sediment. So we know that as well. We know
22 that there's also a source upstream; that
23 there is a General Electric facility at
24 Hudson Falls and that that facility continues

1 to leak through the fractured bedrock below
2 it some PCBs into the river, and that has to
3 be taken care of as well. We know that.
4 That's part of the plan as well. We know
5 that PCBs are in the water and fish, and we
6 don't see significant improvement recently.

7 We know that PCBs are not being
8 buried uniformly within the river. There
9 have been some who have said that the river
10 is depositional and everything is being
11 buried over. We know that's not the case.
12 We know that most of the PCBs, despite what
13 some might say, are not buried deep. They
14 are in the top nine inches. We find that the
15 highest -- in 60 percent of the cores that we
16 took through the sediment, the highest levels
17 of PCBs found were in the top nine inches.
18 We know that there are over 500 pounds of
19 PCBs a year flowing over the Troy dam into
20 the lower Hudson. And we know that we have
21 good science behind all of the information I
22 just told you because we peer reviewed this.
23 We brought in independent scientists from
24 around the world who had nothing to do with

1 EPA, had nothing to do with anybody who had a
2 stake in this. We had five panels; they
3 reviewed all six of our reports. The cost to
4 us in order to bring these people in from all
5 around the world was over a half a million
6 dollars. So we put a lot of effort into
7 making sure there was a strong independent
8 scientific peer review. We know that.

9 So this all led us to a proposed
10 plan. I would like to go over briefly what
11 the proposed plan is. The proposed plan
12 includes targeted dredging. We call it
13 targeted, because in fact, if you look at the
14 area -- and I'll show that with some slides a
15 little later, within that 40 miles, you see
16 2.65 million cubic yards. That's a lot of
17 dredging. Yes, it is. It's lot of
18 material. But if you look at a 40-mile
19 stretch of river, which is four to six
20 hundred feet wide, it is really not that
21 much. In fact the areas we are dredging are
22 less than 13 percent of the total bottom area
23 within that area. So it is actually very
24 targeted. The targeted dredging that we

1 looked at in the uppermost area where we have
2 the greatest contamination we are basically
3 removing the hot pots and a little more; we
4 call that expanded hot spot remediation. In
5 the second, which is the next most
6 contaminated, 15 of the 20 we are basically
7 removing the hot spots. And then in the last
8 29-mile area, we look at those five remaining
9 hot spots, and some of those in fact appeared
10 to be depositional. It did not appear that
11 they were in areas where there really is no
12 concern environmentally. So some we chose
13 not to remove, whereas others we thought
14 there was erosional possibilities certainly
15 we are asking to remove. So it is 2.65
16 million cubic yards that it comes to. It's
17 over 100,000 pounds, that's over 50 tons of
18 PCBs that we would expect to remove. And
19 again it is targeted; I say 500 of 3900
20 acres.

21 If I could just show you some maps
22 and give you a sense. On the left is the
23 first dredge; it goes from Fort Edward, where
24 the old dam was, basically down to the

1 Thompson Island Dam. And the red, the red
2 depicts where we are dredging. You can see
3 there's a lot of red in that first six miles,
4 so there's a lot of dredging going on in that
5 first six miles. That's where the majority
6 of it is going on. If you look at the second
7 part, right-hand side, which is the next five
8 miles down to that dam in Northumberland, you
9 see a lot less red because there wasn't as
10 much of an impact on fish and other items.
11 We're doing less work there. Then if you
12 look at the last 29 miles and scan it
13 quickly, you'll see just how little red there
14 actually is. So if you look at that you can
15 kind of see that it really is targeted. When
16 you say 2.65 million, people say how can that
17 be targeted? Again, you have to look at the
18 universe you're looking at. As part of the
19 proposal, there's no local landfill. All of
20 the material is going to be removed from the
21 Hudson Valley. It will be dewatered at
22 facilities; there will be one on the north
23 end of the site and someplace on the south
24 end of the site, and it will be dewatered,

1 stabilized and shipped by rail out of the
2 area, out of the Hudson Valley. The river
3 will be kept open to navigation throughout
4 all of this. And if that means that we have
5 to widen the navigational channels in some
6 places while doing the work, we are going to.
7 In fact, the little over two and a half cubic
8 yards that I mentioned, over 300,000 of those
9 cubic yards in fact are navigational
10 improvements or navigational dredging items
11 that we'll be doing as far as keeping the
12 channels open in order to make sure that we
13 don't impede anybody's progress up or down
14 river. Rail transport. No trucks. We are
15 talking about rail to take the material out.
16 We take it out on rail cars. It will be
17 roughly 45 rail cars a day. That would be a
18 total between the north and south end.

19 We will be using environmental
20 dredging techniques, and we also would, after
21 we dredge, be bringing in clean material,
22 roughly a million cubic yards of clean
23 material to rebuild the bottom substrate so
24 that the bottom will revegetate and the

1 bottom will stay stable. We use
2 environmental dredging techniques. After we
3 get done with this, the way we expect it is
4 that August we would finalize a decision. If
5 the decision is to move forward, we then
6 would take three years to design to get the
7 access, to set all the details of this plan
8 in motion, and then it would be five years to
9 actually construct it.

10 What I didn't mention is part of
11 the dredging also is aimed at down river
12 impacts as well. We estimate that roughly
13 500 pounds of PCBs flow over the Troy dam
14 every day, and our estimate is that by doing
15 this dredging we can take 40 percent of that
16 less. So 200-pound reduction in the flow
17 over the dam; we can not get it down really
18 much more below that. But we think that
19 within reason we can certainly remove 200
20 pounds a year of PCBs that flow over that
21 dam. I may have said per day earlier, it is
22 500 pounds a year and 200 pounds a year that
23 we would be able to eliminate.

24 Again, the comment period closes on

1 April 17th. We've had six meetings so far.
2 We have had one in Saratoga, two in
3 Poughkeepsie, one in New York City and then
4 this week we have done the Albany, Hudson
5 Falls, Haverstraw circuit. I would like to
6 briefly, before we pick up, just respond to
7 some of the issues that have come up so far.

8 The first one is the PCB toxicity.
9 There are those that have said that that PCBs
10 are not toxic. I would like to clarify that
11 PCBs are known carcinogens in lab animals and
12 they are probable causes in humans as well.
13 And that's not just EPA speaking. Major
14 international and national health
15 organizations agree. Those include the
16 National Institute of Environmental Health
17 Sciences, The National Institute of
18 Occupational Safety and Health, The World
19 Health Organization and others. PCBs,
20 besides cancer, also cause other illnesses.
21 They cause low birth weights, learning and
22 memory problems, thyroid disease and
23 immunological deficiencies. We were pleased
24 that the National Academy of Sciences in a

1 recent report, that was actual ordereded by
2 Congress, to see whether EPA was on the right
3 track or not came out with basically the same
4 statements as EPA. I'll read this. Exposure
5 to PCBs may result in chronic-- e.g., cancer,
6 immunological, developmental, reproductive,
7 neurological-- effects in humans and/or
8 wildlife. Therefore, the committee considers
9 the presence of PCBs in sediments may pose
10 long term public health and ecosystem risks.

11 That is what EPA believes as well.
12 We were very happy to hear them come out with
13 the same statement. I believe I have copies
14 of all of the National Academy of Sciences
15 recommendations and conclusions from their
16 executive summary out back, if you'd like to
17 read them.

18 We are concerned, on the other
19 hand, that the public might be listening to
20 some of the rhetoric that has been recently
21 brought to bear as far as PCBs don't cause
22 any problems. We are very concerned about
23 that, and we just want to reiterate that
24 people should clearly stick to the state

1 health advisories as they relate to
2 consumption of fish in the Hudson River and
3 certainly the eat none advisory above the
4 Troy dam.

5 Next thing I would like to mention
6 is some people have spoken about using fish
7 consumption advisories as a long-term
8 management tool, and that is -- well, why
9 dredge the river, why not just stop eating
10 the fish? There's two reasons. One is that
11 it basically writes off a natural resource,
12 which is not the type of thing we do. And
13 the second thing -- and maybe most
14 important -- is it ignores reality. Reality
15 is that people are eating the fish. They are
16 eating the fish, and fishing for a variety of
17 reasons, recreational, cultural or
18 subsistence reasons as an important food
19 source. The reality is what I mentioned
20 before. That one in six had fish in their
21 possession. What were they doing with that?
22 They were not taking that fish home I don't
23 think to look at. You know, so they were
24 bringing it home for themselves and for their

1 families. That is reality. So that doesn't
2 really work.

3 I mentioned the National Academy of
4 Sciences study, and again, as that was being
5 done, there was a lot of discussion that EPA
6 was going to learn things there and we were
7 all going to learn that EPA's proposal was
8 not correct. I think what they came out with
9 from our perspective is a very close -- it is
10 almost like a study guide to be used to see
11 what we did actually in the Hudson River from
12 our perspective. So please read it and look
13 at that yourself.

14 The next thing is PCB levels in
15 water. People talk about the water in the
16 upper Hudson River where it is most
17 contaminated, and they say that's 90 percent
18 reduction in the last 20 years. Well, if you
19 look, it is true there has been a 90 percent
20 reduction in the last 20 years. Those are
21 dates down there. And what you find out is
22 that -- this is around 1985 over here, so
23 since 1985, the levels have actually been
24 steady. All the decline occurred early.

1 Why did it occur when it occurred?
2 Well, it occurred for a few reasons. This is
3 1977, the damage was removed in 1973 when the
4 dam was removed; you get like a mud wave
5 moving down the river. So the river bottom
6 was unstable. You would expect some problems
7 going on there. PCBs were legally discharged
8 until 1977, so there were ongoing discharges
9 in the river in this period as well that had
10 to be dealt with. And navigational dredging
11 was being performed in the area till 1979.
12 So you had a variety of things stirring up
13 the bottom in that period that were, if you
14 want to say, unnatural. Since 1970 that has
15 then stabilized, and if you look at 1985 and
16 you look through all those years, it is
17 pretty level.

18 Next thing I would talk about is
19 fish. People talk about the levels in fish
20 have come down. The point I would make is
21 you can always find a data point that can
22 make any point you want to make, that can
23 prove any point you want to prove. So you
24 have to look at all the data points. You

1 have to look at all the species. You have to
2 look at all the locations, and you have to
3 recognize what your data points mean. You
4 have to look at and see, well, how much fish
5 is making up this sample, and I put a point
6 on a map on a graph and I say this is a
7 number. Is it an average of 60 fish or is it
8 an average of six fish? How much variability
9 goes in those efficiencies makes a lot of
10 difference. Based upon that you draw a
11 statistical data point, data bars around your
12 points to see, well, it might have been up
13 here, down there. Again, if you look at
14 these data points, this is for black bass,
15 large mouth bass in the Stillwater Pool,
16 which is that lower 29 miles of the river.
17 It is the cleanest part of the river, in that
18 area anyway. And if you look at it again,
19 here is that drop early on, and look at what
20 happened since then. It has been very
21 steady. If you go to the next slide, this is
22 brown bullhead, brown bullhead, that's
23 catfish, all in Stillwater Pool. Again, you
24 see that drop; pretty level since then. Then

1 move upriver, going to the Thompson Island
2 Pool. You notice a little jump here. The
3 reason there's a jump in here is there was a
4 catastrophic release into the Hudson River
5 from what's called the Alan Mill in 1991
6 which brought fish levels up until it was
7 controlled, or more or less controlled in
8 1993. So you see a little bit of blip going
9 up and down, but if you look over all, before
10 the blip and after the blip, it is about the
11 same.

12 And here is the catfish again in
13 the Thompson Island Pool. You kind of see
14 the same thing. There may be a slight
15 declining trend here, but really not much.
16 So if you look at this, you realize that
17 that's why we believe that levels in fish
18 have not been decreasing.

19 Next, visible improvements. People
20 say, But look how the river has gotten so
21 much prettier, so much nicer. It is
22 improved, you know, the river is healing
23 itself. River isn't healing itself. First
24 of all, you don't see PCBs in the sediment

1 and you don't see PCBs in the fish. What you
2 do see is you see bacterial problems in the
3 river. And if you go back to the '70s, when
4 people go back and think historically, they
5 think of when we had raw sewage going into
6 the river, you know, we had primary sewage
7 treatment plants, raw sewage. I remember in
8 this community here, I worked with this
9 community in building a sewage treatment
10 plant I guess in the '70s, an upgraded sewage
11 treatment plant. And certainly that's true
12 in the upper river as well. In the upper
13 river alone, above Troy, you know, the number
14 is 200 million dollars of investment by
15 municipalities, by the state and by the
16 federal government that helped the river look
17 better. That's what made the river look
18 better. The river didn't heal itself.
19 People say, Well, source control is the
20 answer. Yet some people would argue let GE
21 just control the source at the Hudson Falls
22 facility and that's all that has to be done.
23 Well, we look at that. That is an important
24 aspect. It has to be done. I would just

1 point that the discharge of that is three
2 ounces a day into the river from that
3 facility. The discharge from the sediments
4 up into the water as the water flows over
5 that Thompson Island Pool is between one and
6 one and a half pounds a day. It is around
7 six times greater than the discharges coming
8 out of that plant. And how do we know that?
9 That's a picture of the Hudson Falls
10 facility. The way we know that is we did
11 fingerprinting and what fingerprinting is is
12 that PCBs actually aren't just PCBs. There's
13 all different kinds that have to do with how
14 many rings they have and how many chlorines
15 they have and so on and so forth. So there
16 are different kinds of PCBs. So what we did
17 is tried to fingerprint it. We looked at
18 this, the blue is what the PCBs look like
19 coming in at Rogers Island into the upper
20 river and the red is what the PCBs look like
21 as they flow over the Thompson Island dam.
22 And if you look at the two here, you notice
23 that this kind of goes up. This is lower
24 than this. This is higher. This isn't a

1 very good match. So if you're trying to
2 fingerprint this and you said, well, you know
3 does the up river discharge control what's
4 coming out? You kind of look and say no,
5 because the fingerprints don't really match.
6 Let me now show the next slide which shows
7 the sediment compared to what comes out, and
8 notice just how carefully that fingerprint
9 matches. That's why we feel very strongly
10 that the PCBs over the dam are in fact from
11 the sediment.

12 The next thing I guess I would like
13 to do is just talk so you get to the big
14 question over and over. We go through all of
15 this and we come to the conclusion certainly
16 that remediation is required. To us these
17 are very compelling reasons that something
18 has to be done. The river is not healing
19 itself. It's not going to heal itself. We
20 have to go forward with something. We
21 believe we can go forward with something. We
22 can make the fish safer; we can reduce the
23 load again coming down into the lower river.
24 We can reduce the levels in fish rather

1 dramatically and rather quickly, and we can
2 bring fish back to a point where state
3 consumption advisories can be relaxed to some
4 degree. At least one to two generations
5 earlier, if not sooner. And so we get to the
6 last of the 64 thousand dollar question I
7 guess, and that's dating me I guess, as far
8 as the upriver people certainly, and that is:
9 Is the cure worse than the disease? Will
10 dredging cause more problems than it will
11 solve? We believe the answer is a clear no.

12 One of the things that people talk
13 to us about is that we are going to -- even
14 in that Thompson Island Pool for example, we
15 are going to have so many vessels dredging
16 that you're going to be able to walk across
17 the river without ever touching the water.
18 So what we did -- that's hard to see, but
19 what we did is we put every dredge we could
20 possibly put, every vessel we could possibly
21 put for worst case-scenario into the upper
22 two and a half miles of the river to see what
23 it would look like, and we drew it to scale.
24 And this is what it would look like. These

1 are the dredging routes, four dredges
2 operating. And if you look -- you can see
3 how much open river there is and how little
4 impact there really is. The next thing I
5 would say is that we also -- people upriver
6 seem to believe that dredges will be
7 operating in front of their facilities for
8 months and years. The truth of the matter is
9 they'll be operating in front of their areas
10 for days and weeks. That within weeks at the
11 most dredges would move and would no longer
12 be in front of people's properties.

13 I guess what I would like to do
14 now, another issue that was raised -- Mel, is
15 the video ready? I would like to show you
16 one of the things that we are going to
17 destroy the bottom of the river. I would
18 like to take a minute to just look. Let me
19 explain this. There is a site, General
20 Motors site up in Messina New York on the St.
21 Lawrence River. What happened there is we
22 did dredging, and there we didn't try to
23 restore the bottom, as I mentioned here, with
24 clean backfill. We put basically a cobble

1 cap down to try to control it. So we didn't
2 take any steps to restore the river. And
3 people say, well, once you rip the river up,
4 it is going to be destroyed, the ecosystem is
5 destroyed. I would like to show you what the
6 bottom of the river looks like three years
7 after dredging. That's what this shows.
8 There's a diver doing this. If you don't see
9 fish, you got to remember that fish swim away
10 from divers. Although there is a fish in
11 here someplace I know. Well, it is hard to
12 see, but what you're looking at here is
13 pretty lush growth on the bottom. You can
14 see how it has grown back after three years.
15 This is not an EPA video. It was taken by a
16 diver. It is not the fanciest thing in the
17 world, but what it shows is that the
18 discussion about the bottom being destroyed
19 and not rehabilitating itself is really
20 baseless.

21 Our opinion is that environmental
22 dredging really works. I would get into one
23 other issue. Somebody says, well, are you
24 going to have resuspension; as you dredge are

1 you going to be kicking up PCBs? We ran
2 estimates. We estimate that by our dredging
3 every year that we dredge we can reduce,
4 because we're taking PCBs out, the load over
5 the Troy dam that moves down river by a
6 minimum of 40 pounds a year. We estimate
7 that resuspension under the worst
8 circumstance, with no controls in place would
9 be 20 pounds a year. So if you take the 40
10 pounds that we are reducing and subtract the
11 20 pounds that we could under the worst
12 circumstance be adding as a temporary
13 construction item, you still would wind up
14 with a 20-pound reduction every year. That
15 is a very, very conservative estimate in our
16 opinion. I know that's probably a concern of
17 people here, and it has been a concern that's
18 been raised throughout. So we don't see any
19 short-term impacts that would actually
20 increase PCB loads in the river. Although I
21 will say also that we will put extra
22 monitoring on all the water supplies coming
23 out of the river, with contingency plans.

24 I guess just to wrap up, I would

1 say we have been listening to people. Again
2 this is the seventh meeting, and we've heard
3 a lot. We don't have all the answers. We've
4 got a lot. And we'll have more, but we don't
5 have them all. We've heard about noise
6 concerns that the community upriver will
7 have, odor concerns, the lights on the river
8 from the construction, dust controls. We
9 have even heard about the working hours, how
10 many hours are these dredges going to be
11 working. You can't expect these people to be
12 subjected to six, you know, dredging for 14
13 hours a day, six days a week. Sound travels
14 over water. All these are true, and we're
15 working on these things. So by August we are
16 going to look at these things and incorporate
17 every change we can to deal with these
18 concerns and then reevaluate to see whether
19 we've done enough. Assuming that we have, at
20 that stage of the game we are going to make a
21 decision to go forward. If we make that
22 decision to go forward, we then have a
23 three-year design period. And people always
24 ask a lot of detailed questions and always

1 wondering what about this. Where exactly are
2 you going to dewater the facilities? The
3 dredge material? Where exactly are you going
4 to get the backfill from? Where exactly are
5 you going to dispose of the material that
6 you're taking out of the river? All of this
7 comes out at that stage really, the dredging
8 and the detailed design, and actually in the
9 bidding process as well.

10 That's kind of it. I would add as
11 well that public involvement doesn't add
12 after a record of decision. During the
13 design we certainly will have continued
14 public involvement. We're going to set up a
15 whole detailed way of making sure that the
16 public's concerns were addressed throughout,
17 and that there would be a feedback loop going
18 back and forth once again as more details are
19 available as far as what we believe the
20 answers are and listening to people what they
21 believe the answers aren't, and so on and so
22 forth, going back and forth to get to the
23 right answer. And then during the five-year
24 construction as well we'll have people out at

1 the site, may have the Army Corps of
2 Engineers overseeing the work for us, so they
3 would have an on-scene presence, and we would
4 have an on-scene presence as well.

5 With that I hope I've given you my
6 perspective quick and your perspective
7 probably long idea of just where we are and
8 what we're doing. And I would like now to
9 open it up for questions and comments.

10 CONGRESSMAN GILMAN: Mr. Caspe.
11 Thank you very much, Mr. Caspe. Can you tell
12 us, where will the PCB latent soil which is
13 removed from the Hudson be shipped to? Do
14 you have any plans for that? What would be
15 the destination?

16 MR. CASPE: The destination will
17 be -- well, we don't know just now because
18 that's a bidding job. There are places and
19 people that make a lot of money taking
20 material like this. Roughly two-thirds of
21 the material is nonhazardous; we expect it to
22 be nonhazardous waste. One third is
23 hazardous waste. We would bid the job out,
24 and people would bid competitively to take

1 this to various different places. But for
2 pricing the proposal, what we priced it based
3 upon the two-thirds nonhazardous material
4 going up to the Buffalo area, commercial
5 facility there and the other third going to a
6 commercial facility in Texas.

7 CONGRESSMAN GILMAN: So there are
8 facilities available. What's the danger of
9 PCBs escaping down river during the dredging
10 operation?

11 MR. CASPE: Again, we don't see
12 that as great concern. We'll take steps to
13 ensure -- we are going to use environmental
14 dredges. We are not using the old clam
15 shells that you would think of. Whether it
16 will be hydraulic dredges or mechanical
17 dredges, they limit resuspension. We will
18 have silt screens around them as well. Even
19 under a worst-case scenario, more would be
20 removed from the river than might escape.

21 CONGRESSMAN GILMAN: Your targeted
22 area is about a 40-mile stretch is that
23 correct?

24 MR. CASPE: Yes.

1 CONGRESSMAN GILMAN: When will you
2 be doing the remainder of the river, any
3 dates for that?

4 MR. CASPE: We don't plan on doing
5 the remainder. Again, you have to recognize
6 that -- actually let's say around a million
7 and a half or something like that pounds of
8 PCBs have been discharged into the river
9 through time. 200,000 pounds of those PCBs
10 now remain within the upper Hudson River. We
11 can get 100,000 pounds out of that we think
12 practically, in a practical manner. The
13 other 100,000 pounds within that 40-mile
14 stretch are so dispersed we can't get at
15 them. The PCBs in the lower Hudson River are
16 so dispersed, it would be impractical to try
17 to find them or to try to remove them.

18 CONGRESSMAN GILMAN: What would
19 happen, for example to the PCBs along the
20 Haverstraw shores, in this area?

21 MR. CASPE: Well, the contribution
22 of PCBs that move down the river from the
23 Troy dam will have reduced by 40 percent, but
24 as there's no dredging that would occur in

1 the Haverstraw. So eventually they would get
2 better. You know, assume that there are no
3 other discharges of PCBs in the Haverstraw
4 area.

5 CONGRESSMAN GILMAN: So then you
6 would assume over a period of time it would
7 be a clean area?

8 MR. CASPE: It would improve.
9 Clean, I'm not sure just how clean. I don't
10 know exactly what the period of time would
11 be. What we're trying to do actually now,
12 there is a model of the lower Hudson River as
13 well, and we are trying to do a little bit
14 more linkage between the upper Hudson River
15 and the lower Hudson River in the next few
16 months where we might be able to predict a
17 little bit better as far as what type of
18 responses we will have in the lower river.

19 CONGRESSMAN GILMAN: Did your
20 ten-year study include the extent of the PCBs
21 in this part of the river?

22 MR. CASPE: Not to any great
23 extent. We went down all the way to actually
24 New York harbor in looking at PCBs. Our

1 estimate there was the PCBs in the harbor
2 sediments, around 50 percent of the PCBs
3 there are associated with the site in the
4 upper 40 miles, and the rest of it is kind of
5 associated with other discharges within the
6 New York area. But that varies as you move
7 up and down the river.

8 CONGRESSMAN GILMAN: So should
9 there be any concern about toxicity in this
10 part of the river, in the lower Hudson?

11 MR. CASPE: As far as eating fish,
12 certainly you should be carefully watching
13 the state fish consumption advisories, yes.

14 CONGRESSMAN GILMAN: Thank you.

15 MAYOR WASSMER: We in the Village
16 of Haverstraw are concerned that you would
17 choose one of our old industrial sites to
18 dump the dredging material, the dredged
19 material for possible dewatering and so
20 forth. And let me state for the record that
21 we are totally against that. We do not want
22 to see anything dumped on our soil. Also, we
23 are concerned that PCBs that may be raised
24 from the bottom during the dredging procedure

1 and would wind up in the Village of
2 Haverstraw and Haverstraw Bay, where we do
3 not have as good a flushing action as you may
4 find in other areas of the river.

5 MR. CASPE: I would just point out
6 again that it is 500 pounds a year of PCBs
7 moving over that dam right now. I would just
8 repeat, there's 500 pounds a year of PCBs
9 flowing over the Troy dam into the lower
10 river. And we estimate that at a minimum for
11 the next ten years we would, after we do the
12 work, we would average around a 40 percent
13 reduction in those PCBs over the dams.
14 That's a 200-pound reduction every year, and
15 we estimate that that reduction would far
16 exceed any potential stirring up at the
17 bottom that might contribute to any type of a
18 discharge over the dam as a result of the
19 construction. And we have done that in the
20 most conservative manner where we assumed
21 basically no controls or no special controls,
22 and we certainly will put special controls on
23 as well. So we hear your concern. We will
24 address it.

1 MAYOR WASSMER: What are the
2 chances of suspended material reaching
3 Haverstraw Bay? How far does suspended
4 material normally travel before it resettles
5 on the bottom?

6 MR. TOMCHUK: I think I can answer
7 that one. Actually it settles out very
8 quickly. Any resuspended material from the
9 dredging operation would fall out of the
10 water quickly. It is generally associated
11 with the particles, and they do fall out
12 within hundreds of yards rather than longer
13 distances. And we also do have silt screens
14 as a secondary line of defense if you would,
15 so that the particles hit the silt screen and
16 then fall out, so they do not get transported
17 downstream.

18 MAYOR WASSMER: And it is my
19 understanding that you will be monitoring
20 both sides of the silk screen?

21 MR. TOMCHUK: Well, the monitoring
22 really needs to be done on the downstream
23 side. Downstream of that you measure
24 particulate matter in the water to determine

1 on a live basis to make sure that you're not
2 getting transport downstream, a real-time
3 monitoring program. And then you also do PCB
4 monitoring as well. But there is a
5 turnaround time for that of like a 24-hour
6 turnaround time with an on-site lab.

7 MAYOR WASSMER: It occurs to me
8 that it might be helpful to us in the lower
9 Hudson Valley if you conducted your dredging
10 operations while the tide is coming in rather
11 than when it's coming out and flowing down
12 towards us. Thank you very much.

13 MR. CASPE: Thank you. I would
14 just say, obviously where the dredging is
15 occurring, the dredging is occurring in a
16 non-tidal portion of the river. We're above
17 the Troy dam where the dredging is occurring,
18 so that would make that very, very difficult.
19 But we hear your concerns, and I'm sure we
20 can address them.

21 Okay, Ann, do you have cards?

22 When your name is called you'll
23 come up here. I'll give you the mic, and
24 it's all yours. Jay Burgess, Scenic Hudson.

1 MR. JAY BURGESS: Hello. As was
2 stated, my name is Jay Burgess, and I'm with
3 the environmental advocacy group Scenic
4 Hudson. I would like to thank, first of all,
5 the EPA for holding tonight's public hearing
6 and for the others that they have done as
7 part of an exhaustive effort to get public
8 comment on this project. And I'd also like
9 to thank Congressman Gilman for his part in
10 making tonight possible.

11 General Electric has turned 200
12 miles of the Hudson River, a national
13 treasure, into a toxic waste dump. PCBs have
14 been shown to be a threat to human health, a
15 threat to our families, our children, and to
16 our communities. We deserve to have the
17 Hudson River cleaned, and General Electric
18 has a responsibility to clean up the mess
19 that it created. The EPA has done a
20 tremendous amount of science, peer review,
21 objective science that has been demonstrated
22 to be accurate and correct. It's plan is
23 appropriate, and can be done effectively and
24 safely.

1 And I would like to conclude by
2 saying that I think it's time for the world's
3 richest and most powerful corporation to stop
4 putting millions of dollars into a propaganda
5 campaign and to put its money behind a
6 solution to this problem.

7 (Applause.)

8 If they want to live up to their corporate
9 tag line and bring something good to the
10 lives of people in the Hudson Valley, they'll
11 clean up these toxics from our river and give
12 us back what we all deserve. Thank you.

13 MR. CASPE: Kris Edwards.

14 MS. KRIS EDWARDS: Hi, my name is
15 Kris Edwards. I work for River Keepers, but
16 I'm a resident of Rockland County, and I want
17 to thank you for being here this evening, and
18 I want to just say that we do have a clear
19 and present problem here. And I think
20 tonight we've heard a solution, and I just
21 want to speak in favor of the solution.
22 Thank you.

23 MR. CASPE: Thank you. Jeff
24 Casaletto.

1 MR. JEFF CASALETTO: My name is
2 Jeff Casaletto. I'm from the Pace
3 Environmental Litigation Clinic in White
4 Plains. The following comments are being
5 submitted on behalf of the Hudson River
6 Keepers. The River Keepers is a non-profit
7 environmental group based in Garrison, New
8 York whose mission is to safeguard the
9 ecological integrity of the Hudson River
10 watershed as well as the New York City
11 drinking water supply watershed.

12 River Keeper strongly endorses the
13 EPA's preliminary decision to force cleanup
14 of the upper Hudson River. The plan would
15 utilize environmental dredging techniques in
16 targeted areas considered to be hot spots.
17 Such dredging has proven to be effective in
18 other remediation projects around the
19 country. While we support the EPA's proposed
20 plan, River Keepers would prefer the more
21 comprehensive alternative number five, which
22 would remove the largest amount of PCBs from
23 the river. In addition, River Keepers would
24 ask EPA to specify hydraulic dredging to the

1 greatest extent possible, since this type of
2 suction removal appears to be the most
3 efficient and effective technology available.

4 GE's multiillion dollars public
5 relations lobbying and litigation campaign is
6 a flagrant attempt to mislead the public as
7 to the status of recovery of the Hudson River
8 ecosystem and the impacts that dredging would
9 have on local communities. Moreover, GE's
10 campaign is morally reprehensible in that it
11 seeks to avoid taking responsibility for the
12 cleanup of an ecosystem that it has
13 singlehandedly crippled.

14 GE reports a thriving catch and
15 release system as evidence that the river and
16 surrounding communities are prospering.
17 However, current fish advisories recommend
18 that women of child bearing age and children
19 under 15 should not eat any fish from any
20 part of the Hudson River south of the Hudson
21 Falls.

22 The Hudson River has undergone a
23 remarkable transformation over the past 30
24 years thanks to the efforts of the

1 environmental groups and local citizens
2 throughout the Hudson Valley, along with the
3 passage and enforcement of environmental laws
4 such as the Clean Water Act. However, until
5 the PCBs are removed from the river, the full
6 restoration of the Hudson and thus the safe
7 and unfettered use of all its aesthetic and
8 recreational resources will be deprived for
9 generations to come.

10 It has been said environmentists
11 wanted to see GE punished. This is not the
12 case. The reality is the residents of the
13 Hudson Valley, through no fault of their own,
14 are the ones punished. Now we are simply
15 looking to EPA to enforce this nation's
16 environmental laws, and if that means to GE
17 shelling out half a billion dollars to clean
18 up the mess it created, then so be it. Thank
19 you.

20 MR. CASPE: Next speaker is Karl S.
21 Coplan.

22 MR. KARL COPLAN: My name is Karl
23 Coplan. I wear a lot of hats on this issue,
24 since I'm on the board of Clearwater; I'm

1 co-director of the Pace Environmental Clinic,
2 and I'm speaking tonight as a resident of
3 Rockland County and a person who practically
4 lives in the Hudson River in the summer. I
5 spend as much of my free time as I can on the
6 river, in the river. I paddle a kayak in it,
7 sail on a sailboat. My kids and I go
8 swimming in it several times a week in the
9 summer. And I want to speak strongly in
10 favor of the dredging proposed by EPA.

11 Basic principle here. Who's river
12 is this? The river belongs to the people.
13 It doesn't belong to General Electric. It
14 doesn't belong to EPA. It doesn't belong to
15 the federal government. It belongs to the
16 people of New York State. It's my river.
17 It's your river. If somebody makes a mess of
18 my property, my river, somebody makes a mess
19 of our property, basic principle, you clean
20 up your mess. It is especially true if
21 you've made a lot of money making the mess,
22 but even if you didn't, you clean up your
23 mess. You don't have to prove that I'm going
24 to die because of the mess you made. You've

1 got to clean it up anyway. General Electric
2 has to clean up its mess.

3 I agreed with just about everything
4 that Mr. Caspe said, and I thought he said it
5 very well. But there's one thing I disagree
6 with though. One piece of General Electric
7 propaganda that seems to be gaining hold.
8 The idea that General Electric's discharge of
9 PCB's was "legal" or permitted under a
10 permit. And I'm not speaking as a law
11 professor here -- well, I am actually, but
12 I'm speaking as this isn't my opinion. It is
13 the opinion of the Department of
14 Environmental Conservation. The
15 Administrative Law Judge who heard the case
16 against General Electric brought by DEC back
17 in the '70s and ruled that General Electric's
18 discharge of polychlorinated biphenyls
19 violated its permit because it was a
20 discharge of toxic materials in toxic amounts
21 causing a violation of the water quality
22 standards for New York State. So not only do
23 you have the basic principle that you got to
24 clean up a mess, you got another principle.

1 Which is if you made a mess and you broke the
2 law in doing it, you got to clean it up.

3 Now, it's too late for my children.
4 They are never while they are growing up
5 going to be able to go fishing in the Hudson
6 River, catch a fish, bring it home and say
7 mom, dad, let's cook the fish I caught in the
8 Hudson River today. Let's have it for
9 dinner. Because I would be exposing them,
10 they would be exposing themselves to risk of
11 cancer, and it would be against the DEC fish
12 advisory because of PCBs in the Hudson. It
13 is too late for my kids. They will never be
14 able to do that before they grow up, catch a
15 fish in the Hudson River and eat it. But I
16 am hoping that, God willing, some day when I
17 have grandchildren that my grandchildren at
18 least will be able to go fish in the Hudson
19 River, catch a fish, bring it home and eat
20 it. And that's why I want General Electric
21 to clean up its mess. Thank you.

22 MR. CASPE: John Lipscomb?

23 MR. JOHN LIPSCOMB: Hi, I'm John
24 Lipscomb. I live in Piermont. This is my

1 daughter Nellie. And I work for River
2 Keeper. I'm boat captain for River Keepers.
3 I spend my life on the river; I'm a boat
4 builder and boatyard manager.

5 I appreciate very much the EPA's
6 decision to go forward with cleanup, and I
7 appreciate very much the opportunity to
8 comment. I think we ought to remember,
9 however, that the decision we make today is a
10 decision that affects many, many generations.
11 None of those people are here to comment
12 today. So I really believe that the burden
13 is on us. GE was wrong to discharge PCBs in
14 the first place and it would be very wrong
15 for us to leave the PCBs there now. Because
16 our decision affects many, many generations
17 to come.

18 I also hope that our federal
19 government will support the EPA. There's a
20 great cynicism now that with enough money and
21 enough lobbyists the truth can be buried.
22 And I think that the American people, the New
23 York, the Hudson River constituency needs to
24 see that science and truth prevail over money

1 and power. And so I urge you forward, and I
2 appreciate your efforts very much.

3 MR. CASPE: Thank you. Next
4 speaker Bob Walters.

5 MR. BOB WALTERS: Thank you. My
6 name is Bob Walters. I'm the director of the
7 Bezak Environmental Educational Center. We
8 are on the Hudson River down in Yonkers New
9 York. We do Hudson River education programs.
10 And I was talking to Doug Tomchuk earlier
11 this evening. I guess it was ten years ago
12 that we had a symposium down in Yonkers about
13 PCBs and cleaning up the river, and ten years
14 is a long time. You know, it's ten years
15 that really it has been studied and studied
16 some more, and now it's time to clean it up.

17 One of the programs we do down at
18 the Bezak Environmental Center is bring
19 school groups down to the river, and we allow
20 them to work with the educator pulling the
21 net through the water, so they'll see the
22 different kinds of fish life in the river, be
23 it small striped bass, eels, blue claw crabs.
24 And the kids are always impressed with all

1 the fish that are in the river. And they are
2 impressed that the river is cleaner, cleaner
3 to look at. And one of the questions that
4 always comes up is can we eat the fish? And
5 there's always that no, no, you can't eat the
6 fish. The river is cleaner, it's swimmable,
7 but you can't eat the fish.

8 And I think John said it really
9 well. The legacy that we have is not only to
10 the kids that are going down to the river
11 that we teach, but for generations of kids
12 that the river should be cleaner. I think
13 General Electric at this time and the EPA
14 should clean up the river.

15 I get River Watch in the mail.
16 This is a publication that GE distributes.
17 And one of my personal pet peeves is GE
18 always has a picture of a bucket dredge, and
19 a bucket dredge is a big clam shell, and
20 there's a giant piling sticking out of it,
21 and all this mud is being vomited back into
22 the river. If dredging was going to happen
23 that way with PCBs, what a terrible way it
24 would be. But see, the problem is GE doesn't

1 want the truth out. It doesn't want the
2 truth told that that dredge isn't going to be
3 used. No remediation uses bucket dredges
4 anymore. But here it is, front page picture.
5 It is alive. And it's time for GE and the
6 EPA to work together to clean up our river.

7 And I would ask Jack Welsh, the CEO
8 of General Electric -- he'll retire soon, and
9 Jack Welsh and the stockholders have made
10 lots of money with GE over the years. But I
11 say to Mr. Welsh, wouldn't you rather have a
12 legacy that you let your stockholders make
13 money but also in the end you owned up and
14 you cleaned up the mess you had made over the
15 years?

16 I thank the EPA and would urge that
17 we get on with the cleanup. Thank you very
18 much.

19 MR. CASPE: Next speaker is Patrick
20 Shannon.

21 MR. PATRICK SHANNON: Hello, my
22 name is Patrick Shannon. I'm speaking on
23 behalf of the Sierra Club.

24 It has been 23 years since General

1 Electric was told to stop dumping PCBs into
2 the Hudson River, and we would like to
3 applaud the EPA for bringing forth a plan
4 that calls for removal of these PCBs, and the
5 main reasons given are that PCBs, as they
6 explained, are human carcinogens, they do
7 cause other noncancer effects in humans as
8 well. And they have been here for way too
9 long.

10 Besides the health reasons though
11 it would be nice to have the river back the
12 way it was, where you can go fishing bring
13 back your fish and eat them. It would be
14 nice to restore the fisheries to where the
15 they were; more income coming into the
16 communities and support them as well. We do
17 have the appropriate technology now to
18 complete a dredging project that would be
19 effective, and it would take the health and
20 the environment of the river and for the
21 communities along the river. So the Sierra
22 Club does support the plan, although we would
23 like to see that it goes further towards
24 removing PCBs more in depth. So thank you

1 for your time.

2 MR. CASPE: Thank you. Maria C.
3 Ironsides.

4 MS. MARIA IRONSIDES: Good evening.
5 My name is Maria Ironsides. I live in Tappan
6 in Orangetown. My family and neighbors fully
7 support the EPA's excellently researched and
8 safe targeted dredging decision.

9 This fall I approached my neighbors
10 in Orangetown at soccer game with a petition
11 urging the EPA to mandate a cleanup by
12 General Electric. I collected about 70
13 signatures, which were submitted to the EPA
14 in November. Of all the mostly strangers I
15 approached, maybe six or seven said they
16 weren't interested or didn't support the
17 measure. So my local survey concludes 90
18 percent in favor, five percent opposed and
19 five percent undecided.

20 I long for a time when I can tell
21 my son that our majestic Hudson is open for
22 swimming, open for traditional fishing, free
23 of the fear of PCB contamination. Our
24 children and grandchildren deserve to grow up

1 in an environment they do not need to fear.
2 A healthy Earth communicates on the deepest
3 levels a message of security and trust in the
4 future. The heart, our collective spirit,
5 longs for justice. President bush and Mrs.
6 Whitman, you should know, it damages our
7 collective sense of morality when the most
8 powerful, one of the world's most wealthy
9 entities can shirk its responsibility. Don't
10 we teach our children to respect the property
11 of others and to clean up after themselves?

12 Tonight as I was leaving the house
13 my five-year-old son asked me where I was
14 going. And then he asked me what does EPA
15 stand for, Environmental Protection Agency.
16 He then said, I quote, "By the name of that
17 organization I can tell what the answer is
18 going to be: General Electric, clean up the
19 Hudson." Thank you very much.

20 MR. CASPE: John Dyba.

21 MR. JOHN DYBA: My name is John
22 Dyba. I live in Pearl River, New York.

23 I was at an environmental
24 management council meeting on January the

1 17th for the Rockland County group, and we
2 had a Clearwater person there talking about
3 the cleaning of the Hudson. I'm not going to
4 get any applause I know when I leave, because
5 I cannot see the logic in attacking the PCBs.

6 Case in point, the Bible for cancer
7 causation is a book of 1500 pages, Cancer
8 Epidemiology and Prevention by Scott Feld.
9 And it reveals no reference whatsoever to PCB
10 containing fish or any other source of PCBs
11 causing malignancy. And she goes on to state
12 that contacting the National Cancer
13 Institute, they finally got an answer from
14 them after about three years, and it came
15 from a Susan Syber, a scientist and director
16 of communications for the National Cancer
17 Institute. And she said to this writer: The
18 institute knew of no evidence that eating
19 fish from the Hudson River posed a cancer
20 risk. And why should we tolerate government
21 policies that purport to prevent cancer by
22 targeting environmental risks our nation's
23 top cancer experts say does not exist.

24 I have relatives up in Buffalo, and

1 I told them already, expect to see that 2.65
2 cubic yards of sediment coming up your way.
3 I read the newspaper down here, and the
4 people from Fort Edwards say that they are
5 opposed to dredging. The people in
6 Pittsfield, Massachusetts, have sustained
7 dredging for three years, and they are
8 opposed to it. But if you're going to
9 dredge, at least do it the right way. You
10 don't put the sediment in the rail car and
11 put it in a landfill and say, well, the
12 landfill is covered. I don't know a landfill
13 that doesn't leak. But anyway. And we find
14 PCBs under both polar ice caps, so we know it
15 travels by air.

16 But what I want to get at is that
17 in the lead industry, which I'm pretty
18 familiar with -- not a chemist, but there are
19 no longer slag heaps at primary working of
20 the lead ore. The slag heaps are gone.
21 People right down here in west Nyack, Solaco,
22 they can do molecular bonding with the lead
23 and sulphur, and they make the lead back to
24 its original state, the lead sulphite. And I

1 would think it is ashame that if you people
2 are continuing with PCB dredging that you
3 don't treat the sediment before you take it
4 to some landfill, a site particularly near
5 Buffalo. Thank you.

6 MR. CASPE: I would just like to
7 respond quickly to a couple of those items.
8 First with regard to Pittsfield. At earlier
9 meetings, actually the last couple of weeks,
10 people from Pittsfield have showed up and
11 spoken in favor of this site and talked very
12 positively about the experience in
13 Pittsfield. I would point that out first.

14 I would like to go to the National
15 Cancer Institute's statement, and I would
16 like to make sure we all understand that.
17 They have said that they could not find any
18 proof that eating fish from the Hudson River
19 caused cancer. That's true. And that's
20 because there has never been an
21 epidemiological study done of people along
22 the Hudson River. And it would be almost
23 impossible to ever devise one that you would
24 be able to link eating fish with cancer.

1 Because there are plenty of people up and
2 down the Hudson River unfortunately who have
3 gotten cancer. But define the cause. They
4 are exposed to multiple causes. If somebody
5 gets cancer, you say what did they get cancer
6 from? Was it this, this, or this? They
7 haven't been living in a bubble. So that's
8 why we use laboratory animals to determine
9 whether there's cancer or not. You can
10 control what they are exposed to and how they
11 are exposed. It is not us making up the
12 story about PCBs being a probable human
13 carcinogen.

14 As I said earlier, it is almost
15 every health organization in the country and
16 in the world. This is not something that EPA
17 is making up. We don't get a benefit out of
18 making it up. So I would just clarify those
19 two points. I don't know if there were any
20 other points you wanted to clarify. There
21 was a whole lot said there.

22 MR. DYBA: Well, little animals in
23 laboratories are not human beings.

24 MR. CASPE: Well, there are also

1 non-cancer effects.

2 Marian Olsen is our risk
3 assessment, human health expert.

4 MS. MARIAN OLSEN: I'd just like to
5 address some of the issues that you raised.
6 The National Toxicology Program is the
7 nation's group that's responsible for
8 valuating animal studies and determining
9 classifications of carcinogenicity, and they
10 evaluated the data back in the 1980s and came
11 to the conclusion that PCBs are probable
12 human carcinogens. In 1996 EPA evaluated
13 human epidemiological studies, and these were
14 conducted in workers who had worked in plants
15 and were exposed to PCBs as part of their
16 jobs. These studies were conducted around
17 the world. And what EPA concluded at that
18 time is that this evidence is suggestive of
19 PCBs causing cancer in humans.

20 In addition, EPA evaluated a number
21 of animal studies, and there is a consistency
22 in those studies. We have found that PCBs
23 are causing cancer in the animals. Animals
24 have been shown to be an excellent indication

1 of potential health effects on humans. This
2 has been used for years. They are used in
3 the pharmaceutical firms to identify doses
4 and to identify the effectiveness of various
5 chemicals. And this information again is
6 supportive of the fact that PCBs are probable
7 human carcinogens. This evaluation by EPA
8 was reviewed by a panel of fifteen individual
9 experts in various fields of toxicology
10 outside of the agency. They evaluated the
11 data and came to the same conclusions. So
12 this is a science. And if you would be
13 interested in looking at the data, looking at
14 the number of tumors that were found in the
15 animals, that is available on our website.

16 MR. CASPE: Thank you, Marian.

17 Next speaker is Ian Raywid.

18 MR. IAN RAYWID: Hi, I apologize in
19 advance for my ranting and raving. My name
20 is Ian Raywid. I'm a fisherman on the Hudson
21 River. I'm also a commercial fisher on the
22 Hudson River.

23 I don't know, apparently all
24 decisions have been made. Your proposal is

1 in place. You took great pains to discount
2 most of the public's objections before any
3 public comments were made here. A few things
4 strike me funny other than that one. That
5 most of the speakers, through their lives and
6 livelihoods that we have heard so far to the
7 fact that the Hudson River is toxic. I
8 support the River Keepers. I support a lot
9 of the environmentalal groups in the Hudson
10 River foundation. But it seems odd to me
11 that they are the ones that are complaining
12 about the river is so bad and that GE is so
13 despicable, they need this thing cleaned up
14 when that's how they make their living and
15 that's their hobby.

16 I've attended recent meetings with
17 the DEC. I don't know what information you
18 guys go on with the Department of Health. I
19 know you're talking about a stretch of the
20 river far north of here. But in fact, the
21 DEC and the Department of Health in their
22 studies over the last ten years and 25 years
23 have shown such a decline in the PCB levels
24 in the striped bass in the lower Hudson

1 Valley that they are considering opening them
2 for sale to the general public in Fulton
3 Street. All of their studies and information
4 that they provided at their hearings show a
5 steady decline in the contamination of fish
6 in the Hudson River, as much as a tenfold
7 decline over the last 25 years. None of the
8 information that you've provided or that I
9 could read in the brief time we had in your
10 proposal says anything about what the natural
11 remedy to this may be. I do believe that the
12 PCB levels are dropping naturally on their
13 own. They are primarily dispersed so widely
14 over the river that remediation up north
15 might help up north. I don't see how it
16 would help down here.

17 You've suggested that General
18 Electric dumped upwards of a million pounds
19 of PCBs into the Hudson River. That there
20 are now 200,000 pounds I believe you said
21 remaining in the river?

22 MR. CASPE: The upper river.

23 MR. RAYWID: Those 800,000 pounds
24 went somewhere. Either natural flushing of

1 the river or biodegradation or, you know,
2 somewhere they went to. Your best proposal
3 now is to remove another 100,000 pounds,
4 leaving another 100,000 pounds for us to
5 still live with. I don't see any of those
6 being the grand answer, and it seems that
7 mother nature is doing some of these things
8 on her own.

9 There were so many things I wanted
10 to rebut. You said that many of the public's
11 complaints ignore realities, but the health
12 realities are that these fish are cleaner.
13 It's a healthy population of fish. The fish
14 are the ones that are getting contaminated in
15 all of this. No human that swims in the
16 Hudson River in our area is going to be
17 contaminated by PCBs. If you really think
18 so, you're living in a dream world. I don't
19 think there's any tourism or any fear of
20 anybody to go or come and visit the Hudson
21 Valley because there's some PCBs in the
22 river. All the evidence has been that the
23 river is getting cleaner and cleaner, but
24 we're hearing the horror stories tonight.

1 The other thing that strikes me as absolutely
2 hilarious is that these chemicals are
3 considered the scourge of the river. We have
4 got to get them out of our ecosystem. But
5 you're willing to give them to somebody else
6 for a price. I honestly don't understand
7 what you could do with the community where
8 you're going to transport these things,
9 concentrated in massive doses that probably
10 would kill rats and fish and tell them that
11 they can live with it.

12 MR. CASPE: Thank you. I just
13 would like to respond to a few of the items.
14 First, as far as where the material is going,
15 it's going to commercial facilities that
16 would be encapsulating the material. These
17 are existing facilities. These are not new
18 facilities. These are facilities that make
19 money. They are in communities and locations
20 right now where they are fully accepted. We
21 were also, by the way -- what I didn't say
22 earlier and would I just like to clarify, is
23 one of the options we are looking at is the
24 potential recycling of the material where we

1 might be able to stabilize the material and
2 make it into tile or something else through
3 some various processes. So we clarify that.

4 I also would just like to say that
5 the fish information that I gave you was the
6 fish impacts on the upper river, not for the
7 lower river where the commercial fisheries
8 are where I believe you've been to those
9 meetings as far as the striped bass fishery
10 or something like that. And I would point
11 out that the New York State Department of
12 Environmental Conservation, through John
13 Cahill, their Commissioner, has come out in
14 favor of EPA's plan to clean the Hudson
15 River. I would point to that as well.

16 MR. TOMCHUK: I think I just want
17 to make the point that PCBs in the aquatic
18 environment are available for
19 bioaccumulation. So there's magnification of
20 the food chain. This is the problem. You
21 can drink the water. It meets acceptable
22 standards. You can actually swim as well.
23 And the soils would actually not be
24 considered extremely contaminated if they

1 were on land. But the bioaccumulation of the
2 food chain contaminates the fish so that you
3 can't eat them, and that's the main exposure
4 route that we are concerned with on this.

5 MR. CASPE: Okay. Manna Jo Greene.

6 MS. MANNA JO GREENE: I'm Manna Jo
7 Greene. I'm the Environmental Director for
8 Clearwater, and Clearwater would like to
9 again congratulate EPA on its proposed plan
10 to actively remove PCBs from the highly
11 contaminated hot spots in the upper Hudson.

12 General Electric has been
13 perpetuating this misleading notion that the
14 river is cleaning itself up. It seems that
15 General Electric isn't satisfied with just
16 poisoning the river; now they are trying to
17 poison our minds. PCBs are persistent and
18 toxic. The health effects include the fact
19 that they are probable human carcinogens.
20 They cause hormonal disruption, including
21 estrogenic and anti-estrogenic effects. They
22 affect growth and development and
23 neurological disorders, including increased
24 learning disorders and a dampening of

1 intelligence. We are talking about future
2 generations. Modern dredging equipment is
3 capable of cleaning up the Hudson River. And
4 in addition, as was mentioned, their
5 secondary lines of defense, the circles that
6 you saw on the map were the silt curtains
7 that would contain any material if it were
8 temporarily resuspended, and then it could
9 continue to be cleaned. And we've made many
10 of these points.

11 I also wanted to mention that when
12 the PCBs are moving downstream, they continue
13 to move into the environment and not only
14 contaminate the lower Hudson but move out
15 into the ocean. When sediments are exposed,
16 they volatilize and then are airborne and are
17 transported as far as the northern arctic.
18 They have been found in the Inuit people up
19 in northern Canada.

20 So what's happening is that PCBs
21 are dispersing, and dilution is not the
22 solution to pollution. Removal and
23 ultimately we would like to see -- we agree
24 with some of the comments made here tonight,

1 more attention given to treatment
2 technologies. So we have some concerns that
3 volatilization was not adequately addressed.
4 And we really want to assure that the removal
5 is in a closed system, from the point of
6 removal to the point of disposal or more
7 preferably treatment. And then we'd like to
8 ask that EPA look more closely at the area
9 between Hudson Falls and Fort Edward above
10 section one.

11 And finally, we want to assure that
12 there is ongoing public comment. I
13 appreciate that you talked about the fact
14 that after the record of decision there would
15 be ongoing public comment and accountability
16 to all the communities that will be affected.
17 Thank you.

18 MR. CASPE: The next speaker is
19 John Gromada.

20 I forgot, there was one other thing
21 about 200,000 pounds, and we were only
22 getting the 100,000. The question is where
23 is the other 1.1 million pounds or whatever
24 the number is. The answer is, the other 1.1

1 million pounds is down river. It is
2 dispersed throughout the lower river,
3 throughout New York harbor, throughout the
4 New York area. It is outwashed is the
5 answer. It is someplace where we can't get
6 at it. It is dispersed at this stage of the
7 game, but it has not gone away.

8 MR. JOHN GROMADA: Hello, my name
9 is John Gromada, and I represent the
10 Concerned Citizens for Responsible
11 Development based here in Rockland County.
12 The CCRD has been actively involved in
13 environmental advocacy in riverfront
14 communities since 1986. We strongly support
15 removing PCB sediment from targeted hot spots
16 in the upper Hudson River. Here in Rockland
17 we are interested in returning the Tappan Zee
18 and Haverstraw Bay to the great fisheries of
19 the east back to healthy productivity.

20 Many residents here eat fish out of
21 the river despite health warnings. Regular
22 consumers of fish face estimated increased
23 risk of one additional case of cancer per one
24 thousand persons exposed. We are interested

1 in eradicating PCBs from our fisheries
2 forever. We don't want to see continued PCB
3 contamination coming down from these hot
4 spots for generations. We would like them to
5 clean this up now, once and for all.

6 GE claims the river is cleaning
7 itself of PCBs, although our studies have
8 shown PCBs are not being universally buried
9 and often remine in the top nine inches of
10 the sediment. Less than ten percent is
11 dechlorinated over the past 20 years. These
12 less chlorinated PCBs are still toxic and
13 more mobile. The estimated \$460 billion
14 remediation will greatly enhance the level in
15 economy. This amount of money is a very
16 small price to pay for the restoration of our
17 river. The State of New York is now
18 considering spending more than \$4 billion on
19 a new Tappan Zee bridge project that is
20 unnecessary. Why can't we ask this
21 corporation who has destroyed our river to
22 invest a small fraction of that amount to
23 return it to health. And why can't we ask GE
24 to bring this river back to life. Thank you.

1 MR. CASPE: Thank you. The next
2 speak can is Don Wanamaker. I would just
3 also point out, remember I showed those
4 graphs of the fish trends that showed a
5 leveling. That was not EPA's data. That was
6 New York State DEC's data, also New York
7 State DEC's graphs.

8 MR. DON WANAMAKER: Hi, my name is
9 is Don Wanamaker. I grew up in Nyack,
10 currently live in Suffern. Maybe my brothers
11 and I should volunteer to be part of that
12 prospective epidemiologic study, but I have a
13 couple of questions. I'm still on a big
14 learning curve on this project.

15 You talked a lot about PCB
16 concentration in silt, but you also indicated
17 that PCBs are partially admissible in Hudson
18 River water. During the dredging are you
19 anticipating an increase in the concentration
20 of the dissolve phase PCB, not silt
21 entrained, within the water column moving
22 downgradient? If so, how far south?

23 Second question: Is part of the
24 remedial strategy the enhanced bioremediation

1 of residual PCB either adsorbed or absorbed
2 onto silt soil particles remaining after the
3 dredging of the hot spots is completed?

4 MR. CASPE: I'm not sure I
5 understand the second question. First
6 question we got. Second question?

7 MR. WANAMAKER: Second question:
8 Is part of the remedial strategy enhanced
9 bioremediation, not natural attenuation, of
10 residual PCB either adsorbed or absorbed onto
11 soil silt particles remaining after the hot
12 spots is completed?

13 MR. TOMCHUK: We've done some
14 modeling to determine the amount of PCBs that
15 would be transported downstream as far as
16 from the resuspension from a dredging
17 operation. That model really is a sediment
18 based model, so it is really modeling the
19 particular transport. So we do have to look
20 into the dissolve phase to transport a little
21 bit more. We do believe though that because
22 the particulate drops out of the water fairly
23 quickly as it moves downstream, there will
24 not be a long opportunity for the PCBs to

1 desorb from the particulate. It will be
2 entering into the water column. Of course,
3 the water column monitoring that would be
4 going on downstream is a whole water sample,
5 so it would catch either particulate or
6 dissolve phase material.

7 With respect to the enhanced
8 bioremediation, we have not looked into that
9 specifically. Most of the PCBs in the areas
10 that we are not addressing in the upper
11 Hudson and those in the lower Hudson are
12 found at fairly low concentrations, so that
13 those are areas that it's more difficult to
14 actually do bioremediation because the
15 concentration isn't there enough for the
16 organisms to adapt to actually do that itself
17 within the riverbed. Even if you picked that
18 material up, it would probably be hard to
19 treat it through bioremediation.

20 MR. CASPE: Melissa Rosen.

21 MISS KATI ROSEN: Good afternoon.
22 I'm Kati Rosen. We need to clean this river
23 because it is the habitat of fish. Fish need
24 a home. We don't want them to die from

1 garbage or something when you throw it into
2 the river. It kills the fish. It kills the
3 fish of their habitat. Now we want to clean
4 this river of fish killing. There is no
5 ever, ever throwing garbage in this river,
6 because these fish are part of a habitat of
7 what we eat, and we need them to live. And
8 the bakers, when they catch the fish from the
9 river, when they catch them it makes them
10 dead when we eat them, but we want them to
11 have their own habitat to live. We're people
12 and they are living too. Not any of us are
13 important too, just fish, animals, animals
14 are important because they need food to live.
15 It's part of a habitat.

16 MS. MELISSA ROSEN: In Nyack they
17 call me Kati's mother. I'm Melissa Rosen,
18 and I have a brief e-mail that I sent the EPA
19 earlier to read: I cannot stress
20 emphatically enough my desire to rehabilitate
21 the Hudson River of its PCB problem. I've
22 read the literature on the EPA website, and
23 aside of some minor questions about the
24 dredging of the PCBs, and hopefully they

1 could be recycled in some way, I would hate
2 to see these either redistributed or moved to
3 some other person's community. I just don't
4 think that's fair. I feel that this must be
5 done and quickly. Every day more silt runs
6 downstream to the ocean. Once it gets there,
7 there will be no possibility of cleaning it
8 up. One can dredge a river, the Atlantic
9 would be impossible.

10 I would also like to add that I
11 feel that the actions of General Electric
12 surrounding their attempts to get out of
13 their responsibilities have been at best
14 reprehensible, bordering on illegal. I'm not
15 an attorney. But having called their line,
16 you know, their "polling" line, and spoken to
17 them twice and heard what they had to say,
18 the things that they said on that line were
19 absolutely outright not true. There were
20 things that I've read in the EPA literature,
21 Elliott Spitzer's letter from the Attorney
22 General that they just simply lie to you on
23 the phone. So I would like to publicly state
24 I will not buy another GE product. I will

1 not buy so much as a light bulb from these
2 people until they clean it up. Thank you.

3 MR. CASPE: The next speaker is
4 Noel Haskell.

5 FEMALE SPEAKER: He left.

6 MR. CASPE: He left. Gil Hawkins.

7 MR. GIL HAWKINS: My name is Gil
8 Hawkins. I'm the environmental director of
9 the Hudson River Fisherman's Association, New
10 Jersey chapter. I live in Leona, New Jersey.
11 I fish the Hudson, I fish off of Haverstraw.
12 I caught a 23-pound striped bass out here.
13 I'm also positive -- I've been tested and
14 positive for PCBs. In 1999 a study group
15 came from in the Sinai Hospital and took
16 blood from some of the members of the Hudson
17 River Fisherman's Association, some of those
18 more active on the Hudson. And our levels of
19 PCBs were elevated in our bodies. I don't
20 know what the outcome is going to be for
21 myself. I have three children.

22 Last week I had the opportunity to
23 talk in New York City, and I asked the EPA if
24 they would prod Christy Whitman, our outgoing

1 Governor, to make sure that she does the job
2 that they have done previously. We certainly
3 hope they will. But now I have another
4 request, and that is that I hope the EPA will
5 come down to New Jersey and have a hearing
6 down in New Jersey.

7 MR. CASPE: We will.

8 MR. HAWKINS: Please. There has
9 been some floundering back and forth as to
10 whether you guys are going to come down
11 there. I guarantee you, you'll get a turn
12 out.

13 Now, onto my thing. One of the
14 questions that was asked about the amount of
15 PCBs in the fish was that striped bass have
16 been showing lower levels of PCBs. That's
17 true, and the reason why that's true is
18 because the standard was changed. Every one
19 knows science, good science, as Mr. Bush puts
20 it. Well, how about if you change the
21 standard exposure measuring the levels of
22 PCBs in a striped bass and all the fatty
23 tissue, the skin, the liver, all those areas
24 where the oily deposits land. Those are

1 where the PCBs go. Same thing in crabs. Now
2 they are testing the fillets. That's a
3 pretty interesting concept. You know, that
4 little dotted line along the striped bass,
5 where it says eat only this area? Well, we
6 were talking about -- you were talking about
7 people along the Hudson River, people who
8 don't know what the DEC is, don't know what
9 the EPA is. Don't know what PCBs are. There
10 are people that are down there in the
11 afternoons fishing. And believe me, when
12 they pull out a nice 25-inch striped bass,
13 you think they say, wait a minute, honey, we
14 can only eat the fillets. Striped bass
15 caught off of Haverstraw, Saugerties, Croton,
16 East River, the bay, those striped bass move
17 all throughout the river. If somebody thinks
18 that they are fooling -- if somebody thinks
19 they are catching a striped bass off of
20 Montauk or even as far south as the
21 Chesapeake Bay and that they are free from
22 PCBs because the water is nice and clear and
23 they can smell that sea breeze, well, guess
24 what, those striped bass came from the

1 Haverstraw Bay. This is one of the largest
2 nuseries in all of the world for striped
3 bass. Nuseries, I'm not even saying spawning
4 grounds. I'm saying nuseries. That's where
5 they go from little baby fish to bigger and
6 bigger fish, 23-pound fish. And as we know,
7 those striped bass eat the clams on the
8 bottom, all the oyster beds off of Croton
9 point. Those striped bass eat all those
10 fish, those little things and that
11 bioaccumulates just like DDT did in the
12 eagles. I'm sorry for taking so much time.
13 I would just like to say that those people
14 who are against dredging consider the
15 alternatives. Blame the source, not the
16 solution. Thank you.

17 MR. CASPE: David Higby.

18 MR. DAVID HIGBY: I'm David Higby.
19 I'm with Environmental Advocates of New York
20 State. We are a statewide environmental
21 policy and education group that represents
22 over 6,000 individuals and 130 grassroots
23 organizations statewide, and we are also the
24 New York affiliate for the national wildlife

1 federation which has 4 million members
2 nationwide.

3 I'm the Adirondack project director
4 for EA and also the solid waste project
5 director. And people say to me why do you
6 take such an interest in the PCB issue, and I
7 say, well, the river begins in the
8 Adirondacks and the discharges are really
9 solid waste. And that's sort of a joke,
10 because in fact my interest goes back longer
11 than that. Long before I became a working
12 environmentalist I was interested in PCBs,
13 because I live in Washington County.
14 Washington County is where Hudson Falls and
15 Fort Edward is. I drove here 165 miles
16 tonight to speak with you, as briefly as I
17 can. Fortunately, I don't have to talk about
18 the public health issues or the environmental
19 issues. Although we have certainly a public
20 health crisis in the upper Hudson region.
21 And I don't need to talk to you about the
22 environment, because Kati Rosen already said
23 it to you much better than I ever could.

24 Just one anecdote about it. It is

1 not just the fish. Not long ago I got a call
2 from the president of the Chamber of Commerce
3 of Fort Edward, New York, who said to me, Mr.
4 Higby, I know you're an environmentalist, but
5 I need to talk to you about part of this
6 issue you may not be familiar with. I said
7 what's that. She said it is the economy, we
8 are being held hostage here by this
9 contamination. She said I wish that we could
10 put outside Fort Edwards a sign that said
11 welcome to Fort Edward, an historic town with
12 a beautiful river running through it. But to
13 be honest, we have to put a sign that says
14 welcome to Fort Edward, an historic town with
15 a toxic Superfund running through it. And so
16 of all the reprehensible things that the
17 polluter in this case has done -- and
18 certainly they have been reprehensible --
19 they soiled and polluted one of the world's
20 great rivers. And then after it was
21 disclosed and after that pollution was made
22 illegal, they used lawyers and every trick in
23 the book to stall that cleanup, and they have
24 been very effective in stalling that cleanup

1 for the last 20 years. But one of the other
2 really reprehensible things they have done is
3 with their absolutely overwhelming propaganda
4 campaign. Up where I live, they have ripped
5 the civic heart out of our community. So I'm
6 asking you as people in Rockland County to
7 join with us, the people of Washington County
8 and all of the counties up and down this
9 200-mile Superfund site to join together so
10 that we can take back our river, take back
11 our economy and take back our community.
12 Thank you very much.

13 MR. CASPE: The next speaker is
14 Fulvio Ortega.

15 MR. FULVIO ORTEGA: Good evening.
16 My name is Fulvio Ortega. I'm a business
17 owner here in Haverstraw, tae kwon do on Main
18 Street. I've been in Haverstraw for now 40
19 years, and it seems like a political game.
20 This is like the same thing with Agent
21 Orange, you know, they created it, they
22 didn't know what they created, and then 40
23 years later everybody is dying. Indian
24 Point, the same thing is happening over

1 there. You know, it's got to stop somehow.
2 You know it is killing everybody.

3 And another question for our mayor
4 here in Haverstraw. The majority of the
5 people that go fishing down in the Hudson are
6 Hispanic. The EPA has no Hispanic
7 representation here who are bilingual, so the
8 people don't understand what they are eating.
9 What I see here is everybody that speaks
10 English. The Hispanic people are out there,
11 and they don't know what's going on. Okay, I
12 really, you know, respectfully, I would like
13 an answer to that. Thank you.

14 MR. CASPE: Thank you. I could
15 respond in one item and just say that we have
16 provided actually funding to the New York
17 State Department of Health and through New
18 York State Department of Environmental
19 Conservation, very sizeable funding actually,
20 to get postings and public health advisories
21 out bilingual. To warn people whether it is
22 getting into clinics, so on and so forth
23 throughout the communities to try to make
24 sure that people know not to eat the fish.

1 We have tried to target neonatal clinics. We
2 have tried different things like that with
3 them, but we've provided the funding and we
4 are certainly aware of that issue and we are
5 trying to deal with it. And we'll certainly
6 try to deal with it a little bit better in
7 the future. Thank you.

8 Margaret Eberle.

9 MS. MARGARET EBERLE: Could I
10 clarify something first. Who is going to pay
11 for this? I'm sorry I can't give you an
12 answer, but I'm confused on the issue.

13 MR. CASPE: At this stage of the
14 game, all the EPA has done is proposed a
15 remedy. Once we finalize that proposal, then
16 the next step is, obviously, we go to the
17 responsible party and the responsible party
18 would be General Electric.

19 MS. EBERLE: Good.

20 MR. CASPE: And the law would ask
21 them to pay. And I don't know what they'll
22 say, and then I don't know what EPA will do.

23 MS. EBERLE: Okay, thank you very
24 much. I'm glad it is taking that route at

1 any rate.

2 My name is Margaret Eberle by the
3 way. I live in White Plains, New York, which
4 isn't located right on the Hudson, but I
5 spend a lot of time on the Hudson. And one
6 of the things I observed is just what this
7 last gentleman just said. It is not only a
8 lot of Latinos out there fishing on the
9 river, there are a lot of Taiwanese. There
10 are a lot of people who do not understand
11 English, and they are fishing on that river.
12 Because if they don't fish on the river, they
13 don't eat. So they really don't have much
14 choice about deciding whether they are going
15 to eat what comes out of that river. I also
16 feed the homeless, so I know there's a lot of
17 hungry people in Westchester County. In
18 fact, I think it is one of the highest in the
19 United States, and that's why they are eating
20 out of that river. So even having somebody
21 tell them not to eat there would be a
22 problem.

23 The other thing I want to I think
24 comment on, I think it is kind of interesting

1 that a few people I've heard here who are
2 against this dredging because PCBs are
3 harmless. Why are they worried about where
4 this stuff is going then. I think that's an
5 interesting point. The thing I would like to
6 say, as I said, I spend a lot of time on that
7 river. GE dumped that stuff into the river.
8 I would not -- by the way, I've seen the
9 posters, huge posters up in Albany against
10 dredging this river and cleaning it up. Of
11 course paid for by GE, the company that
12 brings things to life. Boy, they sure do.
13 Not only about PCBs, nuclear triggers.
14 There's lot of reasons why people shouldn't
15 be buying things made by GE, and I'd
16 certainly recommend that. But I would like
17 to recommend that they stop putting these big
18 posters up everywhere, and they ought to save
19 that money to pay to clean this up. Because
20 personally, as a citizen I'm sick and tired
21 of paying for things that large corporations
22 who are making zillions of dollars are
23 dumping in all parts of my environment and I
24 as a taxpayer have to end up paying for it.

1 We ought to go after them real big. They
2 ought to pay for it. And I would suggest
3 them not only paying for it, I think a lot of
4 them that made the decisions to dump it in
5 there in the first place ought to be put in
6 jail for malicious mischief at the very least
7 and for potentially killing people on the
8 other end of it.

9 MR. CASPE: Next speaker is Joan
10 Indusi.

11 MS. JOAN INDUSI: Good evening I'm
12 Joan Indusi. I live in Ossining. I'm here
13 to encourage the dredging of the Hudson River
14 hot spots to remove the PCBs. More and more
15 studies are showing links between PCBs and
16 damaging health effects. Just some of the
17 neurological effects include Parkinson's
18 Disease, as well as learning disabilities.
19 The Hudson River is a source of quality
20 protein. People do eat the fish there. The
21 PCBs are toxic. They are toxic in fish; they
22 are toxic in people. They are toxic in the
23 environment, and they must be removed.

24 MR. CASPE: Thank you. Next

1 speaker is Pauline Anderson. Pauline
2 Anderson. The next speaker is Warren
3 Marshall.

4 MR. WARREN MARSHALL: My name is
5 Warren M. I live in Nanuet, New York. I
6 wonder why the people say GE should be the
7 only ones cleaning up the river. Everybody
8 wanted the products made by GE or Brand X
9 company and Brand X company happened to be
10 making this stuff. Now, the only reason they
11 can pollute is because the government let's
12 them. The government sure jumped on me
13 because they thought I was growing mosquitos
14 in my yard and something about the mosquito
15 population they are worrying about around
16 here. Well, guess what, they made four
17 visits about the mosquito problem and never
18 found one larvae. Did they need four visits?
19 No.

20 Another thing, how about the
21 tobacco? They spent all these millions of
22 dollars in lawyers fees was to squeeze the
23 tobacco companies for a little more money out
24 of them. That's all that amounted to. That

1 and PCBs. And how about the savings and loan
2 deregulation. That was done. The government
3 did it. They can't blame the savings and
4 loan. They weren't supposed to listen to the
5 lobbyists. It is the government supposed to
6 be in charge. If they let somebody else in
7 charge, it is their responsibility. But of
8 course, it is the people's responsibility too
9 to let the government know. People usually
10 do, and the government doesn't want to
11 listen.

12 We have what I call the United
13 States second largest white elephant called
14 Pyramid in Rockland County. We were led to
15 believe by the government people who are
16 supposed to know about the environment tell
17 us oh, it won't cause any problem with the
18 environment, in fact, it is magic. It not
19 only won't pollute, it will suck up pollution
20 that's there. I don't believe this type of
21 stuff, and part of it is promulgated by the
22 government. I guess that's about bad enough
23 for now. Thank you.

24 MR. CASPE: The next speaker is

1 Frank Carbone Jr.

2 MR. FRANK CARBONE, JR.: My name is
3 Frank Carbone. I'm from Orange County. I
4 wasn't planning on speaking here tonight, but
5 my buddy, Dennis, came with me and he
6 encouraged me to get up to speak.

7 I'm an outdoor writer from Orange
8 County. I'm also a fisherman. I fish the
9 river. I like to eat fish. Also an
10 outdoorsman from Orange County, a long time
11 fisherman and hunter and also a concerned
12 citizen. Day before yesterday -- and I might
13 echo a little bit about when a lady who was
14 here earlier might have said, but day before
15 yesterday I attended the all day PCB
16 symposium at S.U.N.Y. School of Public Health
17 in Rensselaer, New York. Seven scientists
18 presented their findings on the effects of
19 PCBs in our environment, in our fish, in our
20 food, in our air, in our water, and even
21 mother's milk. And with mother's milk, if
22 you believe science -- I believe science -- I
23 don't believe certainly politicians. I don't
24 even like to use the word politicians, let's

1 say public servants. But the findings that
2 they made with respect to mother's milk is
3 that there was high levels of PCB's coming
4 out of certain mother's milk, and that's the
5 first mother's milk that forms when they
6 first started feeding the baby were very high
7 levels, and then it sort of levels off.

8 It is important to note that of
9 these seven scientists who presented their
10 findings the day before yesterday, four were
11 women. I found their presentations and the
12 presenters to be excellent. The symposium
13 was attended by about 250 scientists,
14 doctors, healthcare professionals and the
15 general public concerned with our
16 environment. The presenters spoke about the
17 effects of PCBs, that the PCBs have on
18 estrogen levels, testosterone levels,
19 cancers, reproduction, immune systems,
20 learning abilities, reproductive organ size,
21 and malformation.

22 I did not see any recognizable
23 public servants in attendance yesterday.
24 I'll bet some would have been there if it was

1 sponsored by GE though. One presenter spoke
2 about the air measurements detecting PCBs
3 adjacent to the Hudson River above and away
4 from the water. So it appears that the PCBs
5 can escape from the river into the air.

6 This is an excerpt from my column
7 that's going to appear in next week's paper.
8 I continue by saying: The red flag goes up
9 with me when I see certain public servants
10 defend GE and go against a PCB remediation
11 plan for the Hudson River by the EPA. As I
12 see it, most -- and I'll underline most --
13 public servants don't attend information
14 meetings of this type. There are a few
15 exceptions, far too few. Perhaps it is
16 because many of our public servants are too
17 closely connected to big business. More
18 citizens need to get involved in overseeing
19 the activities of their own public servants
20 in government. I feel that less than one
21 percent of the citizenry gets directly
22 involved.

23 There is going to be a video of
24 this symposium that happened two days ago in

1 Albany. Be on the alert for this. It might
2 be on your local cable TV. I hope they put
3 it out.

4 I want to just quote an American
5 anthropologist by the name of Margaret Meade
6 who lived from 1901 to 1978. "Never doubt
7 that a small group of thoughtful committed
8 citizens can change the world. Indeed, it's
9 the only thing that ever has."

10 I just wanted to thank Congressman
11 Gilman, the EPA and anybody else who was
12 responsible for this. I'm looking forward to
13 this happening up in Orange County.

14 There's this little book here when
15 you buy your fishing license, there's a lot
16 of health advisories in here, and it says I
17 can only eat one half a pound per month of
18 striped bass from the Hudson. But yet there
19 they are attempting to open up this fishery.
20 Who is going to advise the people in the fish
21 markets when they buy the fish at the fish
22 market? Is there going to be a sign there
23 also that says eat only a half a pound a
24 month? I don't think they are going to sell

1 much fish. Anyway, I guess I'd better let
2 somebody else speak. Thank you.

3 MR. CASPE: I don't know if you
4 wanted to say anything, Marian. I know you
5 were at that conference as well.

6 MR. TOMCHUK: I think it was the
7 FDA level.

8 MR. CASPE: Do you want to talk
9 about that a little?

10 MS. OLSEN: I just would like to
11 mention, we have heard a lot of talk about
12 fish advisories tonight. These advisories
13 are available on the home page for the New
14 York State Department of Health, and I'll
15 just give you that so that if you'd like to
16 take a look at specifically what these
17 advisories are saying, that would be
18 available. It is
19 www.health.state.ny.us/nysdoh/environ/fish.htm.

20 MR. CASPE: Does anybody want to
21 know that? Because I'll have her say it
22 again.

23 MS. OLSEN: I'm sorry.
24 Www.health.state.ny.us/nysdoh/environ/fish.htm.

1 I also wanted to just address
2 something the last gentleman mentioned.
3 There are FDA -- Food and Drug Administration
4 has specific regulations for fish that's in
5 the general commerce, that's the fish that
6 you can buy in your fish stores. And under
7 those laws they have to meet specific
8 standards which make the fish available and
9 appropriate for consumption.

10 MR. CASPE: Thank you. The next
11 speaker is Ed Liona.

12 MR. ED LIONA: Good evening. Well,
13 my name is Ed Liona. I live in Verplanck,
14 New York, which is on the other side of the
15 river. I'm affiliated with no one here, so
16 I'm just John Q. Public and stating for John
17 Q. Public, I think the EPA should do the
18 dredging and that GE should pay for the
19 dredging. Thank you. Have a good evening.

20 MR. CASPE: Next speaker is
21 Lilianna Connor.

22 MS. LILIANNA CONNOR: I live in New
23 City here in Rockland County. The one who
24 knew most about the environment is actually

1 my husband, but he couldn't make this
2 meeting, because he died two years ago of
3 cancer. And too young for his age. The house
4 that we bought from a widow whose husband had
5 died of the same type of cancer before we
6 bought the house. At the corners where we
7 live a year ago our neighbor died of the same
8 type of cancer. Across the street another
9 lady who is a neighbor of ours also died of
10 cancer. Also on our road last year a
11 neighbor died of Parkinson's Disease. And I
12 find that too many people are dying. I find
13 that not only we should get rid of PCBs from
14 the Hudson River and I believe that it not
15 only makes its way to our soil, our air, and
16 our water through the fish. I think that it
17 makes its way to our environment by many
18 other ways that were explained tonight. And
19 I think that not only the PCBs is what we
20 should get rid of, but all the corporations,
21 all the power plants should stop dumping
22 chemicals, industrial materials of every kind
23 into our environment, because too many people
24 are dying and that's unacceptable.

1 I would like to ask the EPA, the
2 Health Department and our Congressman if they
3 could make lists of the different types of
4 cancer that we have in Rockland County, how
5 many people die per year in Rockland from
6 this, how many people have died in the last
7 ten years, and how many people have died in
8 the last 20 years of cancer. And I would
9 like the state to assume responsibilities for
10 this. I find that no more people should die
11 from dumping chemicals in our environment,
12 and I think that we all would want that none
13 of our loved ones die too soon, like my
14 husband did. And I really think that there's
15 not enough that can be done to clean it from
16 PCBs and from all the other chemicals. Thank
17 you.

18 MR. CASPE: Next speaker is Bob
19 Wheeler.

20 MR. BOB WHEELER: Hi, my name is
21 Bob Wheeler. I run a local business here,
22 and I just want to speak on behalf of some of
23 the small businesses on the waterfront. And
24 I missed kind of the beginning of the

1 meeting, so I don't know if this question has
2 already been answered. But I wonder if the
3 EPA, in at least the lower part of the
4 Hudson, is doing anything about any future
5 navigation dredging? In other words, we know
6 that we have PCBs in the lower part of the
7 river, and I guess we know they came from GE,
8 and we know that we need navigational
9 dredging now and in the future. And small
10 businesses are finding it very hard and small
11 municipalities will find it very hard to do
12 this kind of dredging in the future because
13 PCBs are here. And my question basically is:
14 Is the EPA going to address that in their
15 Superfund plan? Thank you.

16 MR. CASPE: And the answer to the
17 question is that we plan on addressing that
18 through our plan by reducing the loads that
19 flow into the river. However, I would also
20 say that the State Attorney General is also
21 seeking to protect the lower communities and
22 with regard to navigational problems and
23 extra costs that are involved in dredging and
24 so on and so forth through other elements of

1 the program that really is beyond what EPA
2 normally does. There are damages that I
3 think you get tied into that or that go
4 beyond. All we look to do is remediate the
5 site. As far as damages that are caused by
6 others, there are other people that authority
7 is kind of aside to, and those are the
8 resource trustees, which in this case include
9 NOA, Department of Interior and New York
10 State. And certainly the State Attorney
11 General has been fairly outspoken on that.

12 Well, are there any other speakers?
13 Nobody else has filled out any other cards.
14 I would like to thank you all for coming and
15 I would like to thank the Congressman and
16 Mayor for having us, and thank you for
17 arranging the facility. Thank you for your
18 energy and your time and thank you for
19 showing up. With that, I'm sure you'll be
20 hearing from us and we'll be hearing from you
21 thank you.

22 (Applause.)

23 CONGRESSMAN GILMAN: Thank you very
24 much, Mr. Caspe.

1 I want to thank you, all of you for
2 staying to this late hour. And we've asked
3 the EPA to hold this town hall meeting so
4 that all of you who are here tonight and I
5 hope more in the Hudson Valley are going to
6 be impacted by their final decision will take
7 advantage of the opportunity to educate
8 ourselves with regard to EPA's proposed plan
9 and make certain we get our comments into the
10 record, the public record, which will close
11 on April 17.

12 I would like to thank Mrs.
13 Rychlenski and Richard Caspe and Doug Tomchuk
14 and Marian Olsen and all our friends at EPA.
15 We thank Mayor Wassmer for being here tonight
16 with us. And I know that our audience has
17 gained invaluable information and knowledge
18 from the presentation and will be sharing
19 their views on the proposed plan for the
20 Hudson, many of them who are here tonight I'm
21 certain will want to submit some written
22 testimony.

23 During the presentation this
24 evening Mr. Caspe noted that EPA would

1 monitor the levels of PCBs coming down the
2 river during dredging. Rest assured, we'll
3 be working closely with the EPA to ensure
4 that appropriate monitoring will be put in
5 place to protect the health and safety of our
6 lower Hudson communities. Something that I'm
7 concerned about, and I would like to see more
8 attention being given to the lower Hudson.
9 Moreover, I think we need to learn more about
10 the health of this section of our river. And
11 I would like to work with the EPA and see
12 more research done on the overall health and
13 welfare of our Mid-Hudson region and acquire
14 the necessary funding to bring that about.

15 So in conclusion, permit me to take
16 this opportunity to once again thank all of
17 you who participated this evening. It was
18 Ronald Reagan who once said: Democracy is
19 not a fragile flower but it still needs a
20 great deal of cultivating. The strength of
21 our nation relies on an active citizenry, and
22 your participation this evening is both
23 invigorating and appreciated. So if you have
24 any further questions or would like

1 additional information, I know the EPA has
2 set up a table outside with fact sheets and
3 copies of the proposed plan for your review,
4 and I would like to remind all of you, once
5 again, that the public comment period closes
6 April 17th. And then we anticipate a final
7 report from EPA around August of this year.
8 And then it will be up to all of us to make
9 certain that that report is properly
10 implemented.

11 Accordingly, this town hall meeting
12 is now adjourned. And thank you once again.

13
14 (Proceedings adjourned.)
15
16
17
18
19
20
21
22
23
24