

1  
2 UNITED STATES  
3 ENVIRONMENTAL PROTECTION AGENCY  
4

---

5 PUBLIC HEARING  
6 HUDSON RIVER PCBs SUPERFUND SITE  
7 NEW YORK  
8 PROPOSED PLAN  
9

---

10 Queensbury High School  
11 Queensbury, New York

12 Wednesday, April 4, 2001  
13 7:15 p.m.

14 PANEL MEMBERS

15 RICH CASPE  
16 ANN RYCHLENSKI  
17 WILLIAM MCCABE  
18 MEL HAUPTMAN  
19 DOUG TOMCHUK  
20 ALISON HESS  
21 MARIAN OLSEN  
22 DOUG FISCHER, ESQ.  
23  
24

1 MS. RYCHLENSKI: We would like  
2 to call the meeting to order. So would  
3 you take your seats so we can get started.

4 I'm going to bring a gentleman  
5 here who will give us some safety  
6 recommendations on behalf of the  
7 Queensbury High School. (Safety  
8 recommendations given.)

9 Good evening. Welcome to yet  
10 one more public meeting on EPA's proposed  
11 plan to clean up the PCB contamination in  
12 the upper Hudson River. Thank you all for  
13 coming out here tonight. My name is Ann  
14 Rychlenski. Some of you know me. I'm  
15 Public Affairs Specialist, Community  
16 Relations Coordinator with the U.S. EPA.  
17 We are here tonight to talk to you about a  
18 proposal and also to take your comment.  
19 The public comment period goes until  
20 April 17th, close of business April 17th.  
21 Those of you who come up to the microphone  
22 here tonight and give your comment, that  
23 comment is going into a legal record. EPA  
24 will respond to comments and questions in

1 a Responsiveness Summary that will be  
2 published around the time that we put out  
3 our Record of Decision.

4 Tonight I would like to  
5 introduce some of the people who are going  
6 to be speaking here tonight. Right behind  
7 me is Mr. Richard Caspe. Rich is the head  
8 of Super Fund at EPA's regional office.  
9 Up there are members of the Hudson River  
10 team, Doug Tomchuk, Marian Olsen and Doug  
11 Fischer. We will be happy to take your  
12 comments and questions tonight.

13 Just a few ground rules. I hope  
14 that those of you who come to the mike  
15 tonight, the only way you are going to get  
16 there is by filling out one of these  
17 little index cards. So if you want to ask  
18 a question or give a comment make sure you  
19 fill one of these out and get it to me out  
20 there at the sign-in tables outside the  
21 auditorium. Everybody gets two minutes  
22 at the microphone. We are going to ask  
23 you to please keep your comments and  
24 questions to two minutes so that all of

1 your neighbors can come out and have their  
2 say as well.

3 We will time you. We have Karen  
4 and Florence over here, and they will time  
5 you. They are very good at this. Those  
6 of you who have been in public meetings  
7 where they have been present before know  
8 that they are good at what they do. Karen  
9 will let you know. When it's green, you  
10 go. When it's yellow, you've got thirty  
11 seconds. When it's red, you stop. That's  
12 about it as far as the ground rules go.

13 Also because we have  
14 stenographers here tonight, please, when  
15 you come to the microphone, speak clearly  
16 and spell your last name so we can have an  
17 accurate record of tonight's proceedings.

18 Again public comment goes until  
19 April 17th. We thank you for coming out  
20 this evening. Rich.

21 MR. CASPE: Thank you. Somebody  
22 asked me yesterday why are we here? Why  
23 are we coming again? And I just would  
24 like, you know, we honestly do want your

1 public comments. We want to speak to  
2 people. We want to hear people. I know  
3 that there's been some frustration by, you  
4 know, people. People want to enter into a  
5 conversation with us. It's a large crowd,  
6 but we do want to hear your comments, and  
7 we will respond to them.

8 At the last series of meetings,  
9 if you remember, they were very crowded.  
10 They went very long. There were people  
11 who wanted to speak who just couldn't  
12 quite get to the microphone. So we are  
13 going to try to limit our comments as best  
14 we can tonight. And I am asking that  
15 everybody who speaks try to limit, that  
16 includes the elected officials, try to  
17 limit their remarks to the absolute  
18 minimum. Try not to go over that two to  
19 three minute time frame.

20 This is the third round of  
21 meetings on EPA's proposal to clean up  
22 PCBs from the Hudson River. A quick  
23 refresher on what the proposal is: This  
24 is what we call targeted dredging. It

1 involves 2.65 million cubic yards of  
2 sediment removal over a 40 mile stretch of  
3 the river. That would remove over  
4 100,000 pounds of PCBs, which is at least  
5 half of what is left in that section of  
6 the river. The most intensive of the  
7 dredging will be in the upper six miles,  
8 which is the Thompson Island Pool between  
9 Fort Edward and Thompson Island Dam.  
10 Disposal of the material dredged will be  
11 at existing commercial facilities that are  
12 permitted to accept the dredge materials.  
13 So there will be no local landfill. There  
14 will be a need for dewatering facilities  
15 to be located some place within the area.  
16 We are contemplating two. It makes sense  
17 to have one on the north end, one on the  
18 south end. Exactly where we don't know.  
19 We do have some possible sites that we  
20 have looked at. However, I'm sure there  
21 are other sites that we'll come to. We're  
22 not at this stage of the game wedded to  
23 any particular site.

24 We are planning on a three year

1 design. After we issue a Record of  
2 Decision, we go forward with this  
3 proposal, and the design would lay out all  
4 of these details, and we would then enter  
5 a five year construction period.

6 As Ann said the comment period  
7 closes April 17th. It was extended from  
8 February 16th. We have had nine meetings  
9 so far: Saratoga Springs, Poughkeepsie in  
10 December, Poughkeepsie, New York City in  
11 January, Albany, Hudson Fall, Haverstraw  
12 in February. There's something wrong with  
13 this time frame; Saddlebrook in March;  
14 Newburgh this past Monday and we are up  
15 here today and will be in Troy tomorrow.

16 I would like to address some of  
17 the key issues at this stage that have  
18 come up since the December 7th  
19 announcement that we made on our proposal.

20 The first one is the toxicity of  
21 PCBs. I would like to reiterate that PCBs  
22 are toxic to people and the environment  
23 and we are concerned that the public could  
24 be in jeopardy if they believe that PCB's

1 are not harmful. They are known to cause  
2 cancer in lab animals and they probably  
3 cause cancer in humans. They are know to  
4 cause serious non-cancer effects as well  
5 which have been measured, actually  
6 measured in people exposed to PCBs, and in  
7 babies and children whose mothers ate  
8 contaminated fish while they were  
9 pregnant. One example of this is that  
10 researchers have continued to study  
11 exposed children as they grew up, and have  
12 found that even at the age of 12 years old  
13 these children had lower IQs, lower  
14 reading comprehension, attention deficits,  
15 and memory problems. So EPA strongly  
16 advises people to follow the state  
17 advisories: eat no fish between Troy and  
18 Hudson Falls, and follow the lesser  
19 advisories below Troy; and women of child  
20 bearing age and children under the age of  
21 15 should eat none for the entire 200 mile  
22 stretch of the river.

23 But simply not eating fish is  
24 not an answer to the PCB problem. It's

1 not in the public interest in that it  
2 writes of a national resource and it  
3 ignores reality. People continue to eat  
4 fish for recreational, cultural and  
5 sustenance reasons. The reality is the  
6 1996 Department of Health survey which  
7 showed that in the area between Hudson  
8 Falls and Troy one in six people had fish  
9 in their possession. And below that it's  
10 worse. As you move down between Troy and  
11 the Tappan Zee Bridge, 68 percent of the  
12 people who were interviewed reported  
13 eating the fish and sharing the fish with  
14 others. And when you look further most of  
15 the fish was shared with family members,  
16 and most of these were in the groups that  
17 were advised to eat no fish from those  
18 areas, children under 15, and women of  
19 childbearing age.

20 The next slide is the slide of  
21 the river. It's a pretty river. Don't be  
22 fooled by it. There have been very  
23 visible improvements to the river in the  
24 past 20 years, and I and you should be

1 real proud of it. They are real, but they  
2 are due to environmental laws that  
3 required sewage treatment and treatment of  
4 industrial waste before discharge to the  
5 river. The Clean Water Act of 1972 poured  
6 hundreds of millions of dollars into the  
7 river and required municipalities up and  
8 down the river to do the same. The PCBs,  
9 I remind you, are not visible in the fish,  
10 they are not visible in the water, and  
11 they are certainly not visible in the  
12 sediment.

13 I would like to next talk about  
14 fish contamination. The last time I was  
15 here I showed four different slides, four  
16 different examples. I am just showing one  
17 here again now just to remind you of  
18 what's happening. Has there been a  
19 decline? You bet. If you look at that  
20 curve, you can see that decline, but look  
21 at when the decline occurred and look at  
22 the last 10 to 15 years, which is this  
23 area here (motions with pointer). There  
24 basically has been no decline. We are at

1 a constant level. This is the black bass  
2 at Stillwater. If you look at PCB loads  
3 in the river, and you try to look at  
4 that, you see the same thing. You see  
5 that there has been a 90 percent  
6 reduction. That when people say there's  
7 been a 90 percent reduction of PCBs in the  
8 water column, they are right there has  
9 been, but look when it happened. It  
10 happened back in the 70s and the early  
11 80s. And it happened for a few good  
12 reasons. It happened because there was a  
13 dam removed in 1973 which caused a  
14 dispersion of PCBs through the river. Up  
15 until 1977 PCBs were continuing to be  
16 discharged illegally to the river. In  
17 1979 navigational dredging stopped.  
18 Navigational dredging, again, at that time  
19 was kicking things up. So if you looked  
20 since then, nothing has really happened to  
21 the river. The river has been, again, the  
22 PCB levels have been at level for the last  
23 10 to 15 years.

24 The next thing you talk about is

1 the PCB dechlorination. At times there's  
2 been talk that PCBs are going to go away.  
3 Yes, PCBs will shed a couple of chlorine  
4 molecules, but, no, PCBs will not go away  
5 and that shedding will occur over a very  
6 short period of time when PCBs are first  
7 deposited in the sediment. Dechlorination  
8 will not make PCBs go away. They don't  
9 break down, any considerable amounts, with  
10 time.

11 And the next thing we talk  
12 about, I just want to reiterate, is the  
13 PCB burial issue. And I just would first  
14 say that the EPA's cores show that 60  
15 percent of the cores that we took showed  
16 the highest concentrations of PCBs were in  
17 the top nine inches. They weren't  
18 two feet down, they weren't three feet  
19 down. They were in the top nine inches of  
20 the sediment, and this is an example of  
21 one that was even worse. It's hard to see  
22 the purple, but this is one actually taken  
23 from a GE core in the Thompson Island  
24 Pool, I think in Hot Spot #14 or something

1           like that. And here if you look -- I'm  
2           not talking about 1200 that you find at  
3           depth. This is the surface. And you are  
4           finding 600 parts per million at the  
5           surface. So when we talk about burial and  
6           thinking that the PCBs are deep in the  
7           sediment, not causing any harm, that's  
8           just not true.

9                       Then we talk about overall, we  
10          try to draw a picture, some people try to  
11          draw a picture of the river as if it were  
12          a lake, a distilling basin, water comes in  
13          and it sits there a while, like a  
14          sedimentation basin, a distilling basin,  
15          where everything just kind of settles out  
16          evenly and smoothly over time. Well it's  
17          not a lake and it's not a basin, it's a  
18          river. And as a river you have different  
19          things happening. You have sediment  
20          occurring some places, some places you  
21          have scour occurring, and those of you  
22          that boat know that where you have  
23          sediment occurring and scour occurring  
24          changes from year to year. So you have

1           that constant movement, dynamic of the  
2           river bottoms. The river bottom is very  
3           dynamic, and, in fact, sediment and the  
4           natural deposition will not solve the  
5           problem either. I guess one of the  
6           examples of this is that New York State  
7           DEC issued an announcement on Monday.  
8           Their announcement said that PCBs are  
9           getting into mammals and into the soil  
10          surrounding the river in the flood plains.  
11          Well how is it getting there if it's all  
12          lying sequestered on the bottom? Just how  
13          is it getting there? You know, it gets  
14          there during floods, it gets there at  
15          different times, and it's getting there  
16          from the fact that those mammals are  
17          eating fish, and the fish are picking up  
18          the PCBs from the bottom of the river. We  
19          think it supports our conclusion that the  
20          PCBs from the river are getting into the  
21          ecological community in levels which cause  
22          concern. And that containment, you know,  
23          is not happening. The contamination is  
24          available and it's moving.

1                   Next -- so the bottom line of  
2                   all of this are two points that we don't  
3                   think, we know. The first thing is that  
4                   the contamination is not and will not be  
5                   safely covered on the bottom. Just won't  
6                   happen. And the next one is that the  
7                   river is not cleaning itself. Again, just  
8                   not happening.

9                   I guess I would like to just  
10                  talk now about source control a little bit  
11                  at the Hudson Falls facility, and  
12                  certainly that is -- that's a problem.  
13                  That's something that should be dealt  
14                  with, but it isn't the solution. It's  
15                  part of a solution, and it's not even the  
16                  larger part of the solution. It's the  
17                  smaller part of a solution.

18                 What I would like to do is first  
19                 show you a slide that shows the PCB levels  
20                 coming in and out of the Thompson Island  
21                 Pool. The blue is the PCB levels. The  
22                 reason there are so many different ones is  
23                 because we measure by different types of  
24                 PCBs just to make sure that we are very

1 exact. But the blue is what comes in at  
2 Fort Edward, and the, I guess, rose color  
3 is what goes out at the Thompson Island  
4 Dam. If you look at those two, you see a  
5 tremendous increase. This is not where  
6 the GE facility is discharging. This  
7 material is largely from sediments. GE  
8 says that there are three ounces of PCBs  
9 discharging from the Hudson Falls facility  
10 per day. We think that number is probably  
11 around five ounces a day, but that doesn't  
12 make much difference. We think that there  
13 is a pound to a pound-and-a-half -- well  
14 we don't think, we know from that chart  
15 and from the fingering that I spoke of  
16 the last time we were here. We know that  
17 the PCBs coming out of the sediment in the  
18 Thompson Island Pool is a pound to a  
19 pound-and-a-half. We tried to graphically  
20 show you what the difference between the  
21 two are. You'll see on the left is the  
22 Source, Contribution, and on the right is  
23 Thompson Island Pool. That's why we feel  
24 so strongly that something has to be done

1 about the sediment in the Thompson Island  
2 Pool.

3 The next slide that I would like  
4 to show is one that, will the fish be  
5 safer to eat with time. And I don't have  
6 my distance glasses on so I hope you can  
7 see it. Again, and we looked at this and  
8 this is how we picked the remedy, just as  
9 a reminder. The gold is No Action, the  
10 red is Monitored Natural Attenuation with  
11 Source Control at the GE Facility. The  
12 next one down, the greenish chartreuse, it  
13 looks like to me without my glasses, is  
14 what we believe we can accomplish with  
15 both. Those are the differences in the  
16 PCB levels in fish. We think that's a  
17 very meaningful difference that will allow  
18 fish advisories to be relaxed in a matter  
19 of years and allow fish to be eaten  
20 generations sooner than it would be  
21 allowed to be eaten otherwise.

22 So we get down, I guess again,  
23 to that one question: Is the cure worse  
24 than the disease? What about

1 remobilization of PCBs during dredging.  
2 That by the way is a picture of a  
3 hydraulic dredge. That's the type of  
4 dredge we would consider using. I  
5 previously told you it was 20 pounds a  
6 year in resuspension. We went back as a  
7 result of the questions that people asked,  
8 and we relooked at that number under worst  
9 case circumstances and we looked at it  
10 also where we didn't just look at certain  
11 types of PCBs, we looked at all PCBs that  
12 were involved, and we have revised that  
13 number to up to what we believe is an  
14 absolute worst case, which is 38 pounds a  
15 year of maximum resuspension. The number,  
16 just to keep that number in perspective,  
17 that's 38 pounds a year. We estimate  
18 that 500 pounds a year are going over the  
19 Thompson Island Pool now -- excuse me  
20 going over the Troy dam now because of the  
21 fact that PCBs are available in the  
22 sediment. We believe this increases  
23 within the year-to-year variability caused  
24 by different amounts of rainfall,

1           etcetera, and the flows of the Hudson  
2           River. And even with this number we  
3           believe that the PCBs levels in the river  
4           will go down every year even during  
5           construction because as we remove PCBs  
6           there will be that much less PCBs in the  
7           sediment to move back up through the water  
8           column. So we don't believe that to be a  
9           major issue, and we feel very confident  
10          that we can do that.

11                       We also -- I want to talk next  
12          about environmental dredging, destroying  
13          the river. I have heard the river  
14          actively dredged being described as a  
15          environmental desert, waste land, so on  
16          and so forth. We know that's not the  
17          case. We showed you a video. It didn't  
18          look that good, but it wasn't the greatest  
19          visual tool at the time. These are  
20          wetlands that actually we dredged on the  
21          Hudson River at Marathon Battery down the  
22          river a bit in Cold Spring, New York.  
23          This is what the wetlands looked like  
24          three to four years after the dredging was

1 complete. Just to show you we know that  
2 the river will revegetate, and I would  
3 point out that our proposal is something  
4 that is supported not just by us. It's  
5 supported by the Fish and Wildlife  
6 Service, by NOAA and by the Department of  
7 Environmental Conservation who are the  
8 resource trustees for the river. I'm sure  
9 they don't want us to turn the river into  
10 an environmental desert. They are  
11 supporting this proposal and they are  
12 supporting the dredging, and I presume  
13 they know what they are talking about as  
14 well.

15 I want to say that we  
16 certainly -- we have had these meetings  
17 and I guess the last one up in Hudson  
18 Falls was an interesting one. We heard  
19 your comments. We are trying to deal with  
20 them. We heard the issues of noise, we  
21 heard the issues of odor, of lights, and  
22 of dust. And I don't want you to think  
23 for a moment that those issues have gone  
24 away, or we have taken them and thrown

1           them on a back burner. That's not the  
2           case. We are certainly looking for  
3           solutions to those problems, and we will  
4           address those problems in the coming  
5           months.

6                       I guess the thing I would like  
7           to say is there's been discussion that EPA  
8           doesn't care about the community's  
9           concerns. And I know that at times the  
10          community and EPA are still somewhat apart  
11          on some of the issues, but I would point  
12          out to all of you to just to think a  
13          little bit about a couple of years ago and  
14          how big your concern was that we were  
15          going to try to site a landfill in this  
16          area. We heard those concerns. We  
17          removed that. That is no longer an  
18          option. It's no longer in there. People  
19          say to us, well where is it going to go?  
20          It's going to go to a licensed facility  
21          outside of the Hudson Valley, you know, a  
22          licensed facility that deals with an  
23          environmentally acceptable manner. It's  
24          not going in the Hudson Valley. We have

1           assured you of that. We have also talked  
2           now about taking rail and barge -- we are  
3           going to move material by rail and barge.  
4           You raised concerns about trucks and  
5           trucks ruining the character of the area.  
6           We said we are going to move the material  
7           in, move the material out by rail and  
8           barge. We mean that. We won't have local  
9           trucking. We took navigational dredging  
10          into account. The river will be kept  
11          open at all times. In fact, we will make  
12          improvements to the river as we move  
13          forward, and navigation of the river will  
14          be better as we dredge, not worse.

15                 So I guess the last point I want  
16          to make, I want to talk about, is the  
17          report by the National Research Council of  
18          the National Academy of Science. I have  
19          certainly read the report. It's been out  
20          for a couple of weeks now. We are  
21          planning on meeting with the National  
22          Academy of Science, with the Research  
23          Committee, in the near future to try and  
24          better understand just what they meant by

1       some of the things they said, and try to  
2       understand it a little bit further. We  
3       are also looking at ways to incorporate  
4       the report in this action and future  
5       actions. The report is available, let me  
6       just say, on their website. It's long.  
7       It's 268 pages, the main part of the  
8       report, but it's actually an easy read.  
9       Anybody that wants to read it that's where  
10      you can get it. You can get it on their  
11      website. You can get the report  
12      downloaded, and you can read it, and it  
13      makes for some good reading, actually.  
14      What the report does, it acknowledges that  
15      health and ecological threats are posed by  
16      PCBs; it acknowledges that remedial action  
17      decisions to sites should continue to be  
18      made on a site by site basis. But it does  
19      call for stronger emphasis on evaluation  
20      of remedies that are in place. It says  
21      the EPA has not evaluated whether the  
22      remedies that we have put in place have  
23      actually accomplished the environmental  
24      end point that we said they would

1 accomplish, and they recommend to us that  
2 we incorporate better monitoring in the  
3 future. It also recommends greater  
4 involvement of the effected community  
5 through an iterative framework. I suggest  
6 you read the report. I really do believe  
7 it's a worthwhile document.

8 With that that concludes my  
9 prepared remarks. I would like now, we do  
10 have a few elected officials or their  
11 representatives. I would like to call  
12 them up first. We only have four. So it  
13 won't be long like it was the last time.  
14 First one will be Charlene Asplin(sic)  
15 representing Congressman John Sweeney.

16 MS. ASPLIN: Good evening.  
17 First of all this is Congressman Sweeney's  
18 words:

19 "First of all I appreciate  
20 another opportunity to publicly express my  
21 support to the thousands of tax payers and  
22 dozens of towns along the upper Hudson  
23 River who are concerned for their rights,  
24 their property and their futures.

1                   On a lighter note that these  
2                   hearings are consistently held at times  
3                   when I'm required to be in Washington  
4                   continues to make it difficult both  
5                   literally and figuratively for the EPA and  
6                   I to get together on the matter at hand.

7                   Nevertheless let me address the  
8                   issue of the National Academy of Sciences  
9                   most recent report and repeat statements I  
10                  recently made during a WMHT television  
11                  interview and in assorted area newspapers.  
12                  The National Academy of Sciences report  
13                  examines national policy regarding  
14                  contaminated sediments while analyzing  
15                  specific cases across the country  
16                  including the Hudson River. Since 1998 I  
17                  have maintained that the EPA has failed to  
18                  adequately involve the public and even  
19                  when it has it often overlooked the  
20                  opinions of the those most effected by any  
21                  large scale dredging project. The latest  
22                  National Academy of Sciences report  
23                  confirms that. The report states that the  
24                  residential communities along the Hudson

1 River are not part of any active decision  
2 making process despite an elaborate  
3 community involvement structure. The  
4 report goes on to say that the EPA process  
5 does not appear to allow community  
6 involvement in any decision making or even  
7 problem solving phases and does not appear  
8 to be responsive to community needs and  
9 frustration. In short the report says  
10 community involvement was unsuccessful. I  
11 wish to point out to the EPA that in this  
12 instance the term "community" refers to  
13 those people who reside in the area in  
14 question, pay taxes in the area in  
15 question, and, therefore, have the  
16 greatest vested interest in what happens  
17 to the river and the local environment.  
18 Let me add that there are those among you  
19 tonight who fit this description and those  
20 who do not. I would suggest that the EPA  
21 listen closely to those who do.

22 I would like to point out now  
23 that there are now at least 70 communities  
24 whose locally elected town boards have

1 taken up a position in opposition to the  
2 EPA's plan. I would add that not all  
3 those communities are located in the upper  
4 Hudson area. The Town of Hyde Park in  
5 Dutchess County comes to mind. Further  
6 there are other communities south of  
7 Albany that while they have not officially  
8 taken a position in opposition to the EPA  
9 plan, neither have they supported it,  
10 preferring to take a neutral stance and  
11 learn more about the (inaudible) option."

12 Thank you.

13 MR. CASPE: Thank you. Next  
14 speaker is Assemblywoman Betty Little, of  
15 the 109th Assembly District. Betty  
16 Little, please?

17 BETTY LITTLE: Thank you. I  
18 would first of all like to thank you  
19 for your responsiveness in holding  
20 additional hearings about this subject.

21 This is certainly a very  
22 controversial subject, and there's been a  
23 great deal of information put out to the  
24 public here, and a great deal of

1           misinformation, and I think all of us will  
2           agree that our goal, and the goal of  
3           everyone concerned with this is to have a  
4           cleaner river.

5                   I'm not convinced, and many of  
6           us are not convinced that this massive  
7           dredging project is going to give us any  
8           cleaner river than what we're already  
9           doing, or what other projects we may be  
10          able to do to get to the same goal.

11                   At the present time you are  
12          doing monitoring of the waters and  
13          certainly should continue, and to reduce  
14          the source of any PCBs.

15                   I have been involved in  
16          government for a number of years, six at  
17          the State level, nine and a half at the  
18          local level, and I'm afraid this reminds  
19          me, however rather cynical, something  
20          about how waste to energy was the utmost  
21          excellent way of getting rid of your  
22          garbage, and both Warren and Washington  
23          Counties have been saddled with the waste  
24          to energy plant that has cost the

1 taxpayers millions and millions of  
2 dollars, so I think we need to look more  
3 carefully at this massive dredging  
4 project.

5 Your first instance was not  
6 dredge dredge. Now, suddenly, we're into  
7 a dredging thing. Even on your screen, we  
8 see we end up with the same goal with a  
9 cleaner river, which is really what we're  
10 all about.

11 I would also ask you when you  
12 are listening to the comments you should  
13 weigh those comments of the people who are  
14 going to be most affected by this dredging  
15 project in the upper Hudson River area.  
16 Thank you very much (applause).

17 MR. CASPE: Next speaker is  
18 George Hodson, Councilman for the Town of  
19 Northumberland.

20 GEORGE HODSON: Good evening.  
21 My name is George Hodson. I'm a Town  
22 Councilman in the Town of Northumberland,  
23 and I'm Director of Saratoga County's  
24 Environmental Management Council.

1                   The Town of Northumberland and  
2                   the Saratoga County EMC are happy to see  
3                   the EPA has for the first time in any of  
4                   the public meeting notices stated that  
5                   they will answer questions regarding the  
6                   proposed plan in addition to taking the  
7                   comments.

8                   Unfortunately, the realization  
9                   that public participation should include  
10                  answering questions comes extremely late  
11                  in the PCB reassessment process.

12                  Notwithstanding this, I would  
13                  like to ask the EPA at this time a  
14                  question.

15                  Why has no PCB resuspension  
16                  values -- why were they not included in  
17                  the model they used to forecast the Hudson  
18                  River rate of recovery after dredging,  
19                  despite the fact that they had knowledge  
20                  that PCB resuspension after dredging would  
21                  occur?

22                  I would ask, maybe you could  
23                  respond to that at the end of my comments,  
24                  so I can get the full two minutes, please?

1                   Based upon information and  
2                   assumptions the EPA makes from the  
3                   feasibility studies, and the new PCB  
4                   suspension rate information from the  
5                   U.S.P.S. relative to the Fox River  
6                   project, actual PCB resuspension rates  
7                   resulting from dredging the Hudson River  
8                   may be as much as 32 times higher than  
9                   those projected by EPA and FS.

10                  Saratoga County is still quite  
11                  concerned about the impact this increased  
12                  PCB resuspension may have upon downstream  
13                  drinking water supplies.

14                  EPA spokeswoman, Ann Rychlenski  
15                  stated a 3/3/01 Post Star news release,  
16                  yesterday's news release, that, "Her  
17                  agency has completed at least seven  
18                  reports that have estimated how PCBs may  
19                  affect water supplies, in Half Moon and  
20                  Waterford.

21                  At this time Saratoga County  
22                  requests copies of the Saratoga County  
23                  water supply PCB impact reports from EPA.  
24                  Saratoga County is not familiar with these

1 reports and will follow-up with a written  
2 formal request that may be obtained and  
3 reviewed.

4 Why haven't these reports been  
5 made available to the public? As you're  
6 aware, the National Environmental Policy  
7 Act of 1969, known as NEPA requires all  
8 federal agencies to integrate the NEPA  
9 environmental review process into the  
10 early planning stages of actions they  
11 may be undertaking which may have a  
12 significant effect upon the environment.  
13 It should be noted at this time that the  
14 use by the Court of functionally  
15 equivalent concept for not requiring NEPA  
16 environmental review on certain Federal  
17 actions was never meant to be universally  
18 applicable to all superfund sites.

19 The concept origin is predicated  
20 upon a case by case usage by EPA on those  
21 superfund sites which require immediate  
22 hazardous materials response removal  
23 suited of significance, to human health  
24 and environment, and where a lengthy

1 environmental review process is clearly  
2 unacceptable.

3 One can hardly make this an  
4 immediacy case for the Hudson River PCB  
5 site because it's been studied for over 25  
6 years and poses no imminent public health  
7 environmental threat. Doesn't the largest  
8 site in U.S. history, a site whose  
9 preferred dredging --

10 MR. CASPE: Please wrap up.

11 GEORGE HODSON: -- widespread  
12 negative community impacts for many years  
13 deserve a comprehensive review?

14 MR. CASPE: Please wrap up.

15 TOM GROVER: In summary,  
16 Saratoga County asks EPA to respond to its  
17 3/14/01 correspondence, sent to  
18 Administrator Whitman, which requests EPA  
19 to comply with Federal NEPA environmental  
20 review requirements.

21 MR. CASPE: Thank you.

22 GEORGE HODSON: And lastly, the  
23 U. S. EPA needs to get its head out of the  
24 Hudson River and its tunnel vision

1 approach which the national contingency  
2 plans promotes, and approach in a  
3 meaningful way the direct impact --

4 MR. CASPE: Will you please have  
5 some respect to somebody else and sit  
6 down?

7 GEORGE HODSON: Thank you.  
8 Thanks for the opportunity to come.  
9 (Applause.)

10 MR. CASPE: I would, giving the  
11 answer, this is a factoid for everybody.  
12 EPA as of today, well as of yesterday  
13 actually, had received 24,000 e-mails and  
14 over 12 boxes, large cartons of comment.  
15 So we certainly have a lot of comments and  
16 we have a lot to respond to. We are doing  
17 the best we can, but that is a monumental  
18 job, as you might imagine. Thank you.

19 Doug, do you want to -- and  
20 as far as your letter goes, we responded  
21 to the first Saratoga letter on February  
22 22nd. The trouble is you don't like the  
23 response we gave. It was a detailed  
24 response that went on for three pages, but

1           you don't like that response so you wrote  
2           another letter. That's very fine. We'll  
3           do the best we can. Thank you.

4                   MR. HODSON: Would you respond  
5           to my original question?

6                   MR. CASPE: I'm going to right  
7           now.

8                   MR. TOMCHUK: Okay. Basically  
9           our patent transfer model HUD-TOX did not  
10          include a resuspension portion in there  
11          because when we looked at the modeling for  
12          resuspension there was only about 20  
13          pounds per year. This is clearly within  
14          the certainty bounds of the HUD-TOX model  
15          and would not make a significant  
16          difference in the outcome on the fish data  
17          as judged by the 100 year flood analysis  
18          which showed that after a one or two year  
19          period basically the river returned to  
20          normal. So that was why we did not  
21          include that in the HUD-TOX model.  
22          Thanks.

23                   MR. CASPE: Thank you. The next  
24          speaker will be Alfred Solomon.

1 MR. TOMCHUK: I'm sorry. There  
2 was one other point raised about the  
3 Environmental Impact Statement and why we  
4 are not performing one or whether we  
5 intend to perform one.

6 MR. CASPE: Yes.

7 MR. TOMCHUK: For the  
8 reassessment. It's been EPA's position  
9 since the inception of the SEQRA Program  
10 essentially --

11 MR. SOLOMON: Am I on?

12 MR. CASPE: No, he -- I called  
13 this guy.

14 MR. SOLOMON: Or is somebody  
15 else?

16 MR. CASPE: Okay.

17 MR. SOLOMON: Thank you. These  
18 are the reasons why I am up here. I'm  
19 101 -- what's that? Oh, thank you.  
20 Actually 101-and-a-half. I am 101. I  
21 have lived on the banks of the Hudson  
22 River for 65 years, 63. I have been  
23 through dredging, year after year for a  
24 few years. I have been swimming in the

1 Hudson, not the last 10 years but before  
2 that, almost every day. I think, I think  
3 that first speaker, who by the way was an  
4 orator, I think he made a very, very good  
5 argument for not dredging.

6 All I could find out after  
7 listening was that the fish are being  
8 poisoned, but there has been no really  
9 good example of dredging that has been  
10 successful and all of these theories by  
11 the environmental agency have to be  
12 defeated. This is nonsense. Eight years,  
13 eight years. Do you know what's happened  
14 in the past eight years? And what will  
15 happen in the next eight years is  
16 horrendous because there is no actual  
17 proof that this is going to be successful.  
18 None at all.

19 And in addition to that, in  
20 addition to that, another reason why I'm  
21 opposed to it is because I love the way of  
22 life up here. I learned how to swim in  
23 the Hudson River when I was 11, and I  
24 think that the EPA, the EPA, should

1 reconsider because my experience with  
2 them, their track record, is terrible.  
3 They passed, they allowed a dump to be  
4 built on a beautiful farm overlooking the  
5 Hudson. So far there's been nothing  
6 dumped in there although millions have  
7 been spent on it. And this is typical of  
8 some of the other things that have passed  
9 by the EPA.

10 I hope that you all, I hope that  
11 you all, decide on something sensible. If  
12 you want to do something, and I was a  
13 business man for 70 years or more, why  
14 don't you take one little section and test  
15 it. Why don't you try that? Instead of  
16 (applause) -- shush, shush, I have to go  
17 home. Instead of worrying about where you  
18 are going to dump several millions of tons  
19 of this dirt because you really don't  
20 know. You haven't said anything. All you  
21 have said is that there are two or three  
22 spots picked out, but you don't really  
23 know where it's going to be dumped. I can  
24 tell you where it used to be when they

1 dredged it once before, 40 years ago.  
2 They dumped it on the roads. That's where  
3 the PCBs were dumped.

4 Any way, thank you.

5 MR. CASPE: The next speaker is  
6 Max Sanders. Let me call up five at a  
7 time. The speakers will be Max Sanders,  
8 John Bahr, Dennis Williams. Pete Kidwell  
9 and Charles Harrington.

10 Max Sanders.

11 MR. SANDERS: Good evening, last  
12 name is Sanders - S-A-N-D-E-R-S. I had  
13 the opportunity to speak in Hudson Falls a  
14 couple of months ago, and if I could just  
15 reiterate the two points I made there,  
16 then I have a real live question that  
17 hopefully we can get an answer to tonight.

18 I'm a member of CEASE and in  
19 opposition to the proposal to dredge. The  
20 reason is that I don't think the EPA has  
21 proven it's case and I had two proofs that  
22 I offered and submitted. Number one, is I  
23 have taken the time to go through all 50  
24 or so volumes that the EPA has submitted,

1 and the first thing that I read was the  
2 peer review, and the point I made a couple  
3 of month ago was that I think you probably  
4 got about a C with regard to the peer  
5 review last June. And if I could just  
6 read for a second, this is right out of  
7 your book, page 4-3. Your report with the  
8 recommendations to dredge was acceptable  
9 with major revisions, unacceptable,  
10 acceptable, acceptable, major revisions,  
11 etcetera. I guess the analogy I would  
12 draw is that if I was back in the days of  
13 college and defending a thesis, I probably  
14 would have gotten a failing grade from my  
15 review committee with regard to these  
16 types of reviews.

17 The first point that I would ask  
18 is that which I made two months ago, I  
19 would like to sit down and just understand  
20 what the peer review was, and Ms. Hess  
21 said two months ago -- she never  
22 responded. I would very much like to see  
23 that.

24 Number two, is that I took with

1 interest the sheet or the graph that Mr.  
2 Caspe had before, and I presume that the  
3 values are the same, but what I have done  
4 is, I took also one of the other reports  
5 that you have. This was the summary  
6 report, and I took the values of the risk  
7 management in terms of the levels of PCB  
8 contamination in the fish, and while the  
9 values that he had on the graph were whole  
10 numbers like .2, .1, etcetera we need to  
11 have values which are in the fractions of  
12 total numbers like .05 and .2 and as I  
13 indicated in the graph that I gave you,  
14 you don't reach until the third decade of  
15 this century about the year 2030 before  
16 you will be able to eat with an acceptable  
17 risk the fish from the Thompson Island  
18 Pool. And when you look at the function  
19 for the GE plant, it's only 15 years  
20 longer. So the point is there's only a  
21 marginal benefit. It's not generational,  
22 it's thirty years from now.

23 MR. TOMCHUK: Okay. I have a  
24 couple of responses there. With respect

1 to the peer review, obviously, you  
2 selected one of the five peer reviews that  
3 we held for the ecological risk  
4 assessment. All the other ones I would  
5 give at least a B or B+ to because they  
6 were accepted with minor revisions. So  
7 that is the one exception, and it was  
8 probably below a grade C in my grade book.

9 I think that -- there's one  
10 really important thing. That was the  
11 ecological risk assessment which said that  
12 there's a risk to ecology. I think one of  
13 the reasons it is not a bad grade is  
14 really just because it didn't have a lot  
15 of data to support that. Well within the  
16 last week you have seen the DEC data that  
17 came out and basically it has all the  
18 numbers for the mink and the river otter  
19 to support the findings that there is  
20 ecological risk to the environment.

21 With respect to the third decade  
22 of risk for a response. Well one of the  
23 problems with getting a response,  
24 especially in the Thompson Island Pool, is

1           that it's very close to the Hudson Falls  
2           plant site, and in our model we brought it  
3           down to 2 nanograms per liter, two parts  
4           per trillion. That level coming out of  
5           the Hudson Falls plant site, that area, is  
6           enough to hold that response back from  
7           reaching acceptable levels.

8                     MR. CASPE: I would just add  
9           that I think General Electric Company has,  
10          certainly their hope is that they can get  
11          that down to 0, but we wanted to be  
12          conservative in our projections so we used  
13          the 2 nanograms per liter.

14                    Sir.

15                    MR. BAHR: My name is Jack Bahr.  
16          Following Mr. Solomon it's going to be  
17          kind of tough.

18                    We live three miles out of Fort  
19          Edward on the Hudson. We have been around  
20          the Hudson River, I worked for Scott Paper  
21          for 38 years. And our concern is about  
22          the wells along the Hudson River. Now  
23          water seeks it's own level. Our system we  
24          have \$20,000 in it. These -- everybody

1           that lives along that river has wells, and  
2           everybody is going to be effected by the  
3           dredging. Every well there. And if you  
4           don't believe it, ask Culligan of Troy  
5           because they are elated that you are going  
6           to dredge. Their business will be  
7           tremendous. We just had them for \$6000  
8           worth, and if you dredge, we are going to  
9           have them for some more thousands.

10                  They say there's PCBs in otter,  
11                  muskrat, fox and so forth. How many have  
12                  you eaten lately?

13                  Remember no one is against  
14                  cleaning the river, but there is a lot of  
15                  unanswered questions concerning the  
16                  program. Why not a pilot program at  
17                  first? At the Thompson Island Pool.

18                  Thank you.

19                  MR. CASPE: Dennis Williams.

20                  MR. WILLIAMS: My name is Dennis  
21                  Williams. My father, my father's father  
22                  before him worked a farm in Fort Edward  
23                  for well over a 100 years. If the EPA  
24                  gets it's way and dredges the river in

1 places the river bottom material on the  
2 land, I would like to know if the EPA has  
3 given any thought as to how they will make  
4 sure that all the people, farms, and  
5 businesses located near the sites, should  
6 their wells, and I'm echoing this is last  
7 gentleman, become contaminated, what, if  
8 anything, would EPA do? Will EPA install  
9 public water supplies throughout the  
10 Hudson River area to towns, villages that  
11 do not have them, and/or if so who will  
12 pay for them? Will our crops be  
13 marketable. Will the farms milking cows  
14 in the area lose their markets? You, the  
15 EPA, have you addressed these issues?  
16 Will our land values be effected? Will we  
17 be able to sell if we ever decide later on  
18 to sell at a fair price if the dredging  
19 starts? Will our taxes be lowered to  
20 match our land values, and if so who will  
21 pick up the lost taxes to the towns and  
22 villages in the Hudson River area? Who  
23 will be responsible for maintaining our  
24 roads from all the extra truck traffic?

1           When the school bus stops in front of my  
2           home to pick up my children in the  
3           morning, or let them off in the afternoon,  
4           will the EPA be stopping their traffic  
5           during these hours? Will we ever see all  
6           the plans that the EPA is not showing?

7                     In closing, my personal opinion  
8           is the EPA has put the cart before the  
9           horse. They sure haven't done their  
10          homework on this project. Two wrongs  
11          don't make a right. Don't dredge in this  
12          area. It will make the lives of everybody  
13          involved a living hell.

14                    Thank you.

15                   MR. CASPE: I would just  
16          reiterate that the truck traffic that we  
17          are talking about that we would probably  
18          have would be during the construction of  
19          the dewatering facilities. Beyond that we  
20          don't expect any significant truck traffic  
21          to be present.

22                    I really don't understand,  
23          frankly, why you are concerned that your  
24          water supplies will be tainted. But

1 obviously, if we foul somebody's water  
2 supplies, we would be responsible for  
3 correcting those supplies, if we cause  
4 that problem.

5 As far as the land values, I say  
6 that your land values, to some degree, we  
7 don't really think we are going to hurt  
8 your land values. We think we are going  
9 to improve your land values, frankly.

10 I would just say those things.  
11 As far as our plans, again, we are saying  
12 that there is a three year period for  
13 design. We will try to get further plans.  
14 If we go through with this remedy, we will  
15 try to get further plans as we come out  
16 with the Record of Decision in August.  
17 But beyond that the detailed plans will  
18 occur in the detailed design.

19 If I can, let me just call up  
20 the next five people: Ray Saladin, Nancy  
21 Crosby, Merrily Pulver, Sharon Ruggi.

22 The next speaker is Charles  
23 Harrington. No? Okay. You are? Go  
24 ahead.

1 MR. KIDWELL: I'm Richard  
2 Kidwell, not Pete. Pete is a nickname.  
3 K-I-D-W-E-L-L.

4 I am here once again to say that  
5 I do not believe that what you are doing  
6 at this time is a good idea. I live on  
7 the river. I have lived basically on the  
8 river or dealt with the river for the last  
9 30 years. I seem to be pretty healthy. I  
10 haven't had a problem, and I don't believe  
11 that the collateral damage that I suspect  
12 you will cause when you start digging and  
13 moving stuff, and piping stuff, and  
14 everything else, there's too many  
15 possibilities for maneuver damage, and I  
16 don't think what you are doing will  
17 ecologically help initially or anything  
18 else. I do believe that, yes, we need to  
19 get rid of the PCBs, but I don't think  
20 your plan at the present time, this  
21 massive undertaking that you wish to do is  
22 a good idea. And I am still of the  
23 opinion, even though I appreciate a much  
24 more -- I don't know what I would call it,

1 but I believe that I have listened to you  
2 twice, sir, the first two times I was  
3 definitely unimpressed with your attitude.  
4 At least this time you seem to be at least  
5 talking to us in a people-to-people scene.  
6 I applaud you for that.

7 Thank you.

8 MR. HANEHAN: My name is Charlie  
9 Hanehan. I am a dairy farmer from  
10 Saratoga County. I am also the president  
11 of FAIR, which is Farmers Against  
12 Irresponsible Remediation, a group of  
13 farmers from Saratoga County and  
14 Washington County.

15 We are not against cleaning the  
16 Hudson but we are very concerned about  
17 EPA's dredge plans. Two of our main  
18 concerns are lack of substantial details  
19 to the plan. We are being asked to  
20 comment on a project that has more  
21 questions than answers. I think you are  
22 circumventing the spirit of the super fund  
23 law doing that.

24 Number two, the community

1 acceptance clause is being ignored by EPA  
2 as referenced in the National Academy of  
3 Sciences report. Our group FAIR consists  
4 of much of the agricultural community near  
5 the Hudson River in Saratoga and  
6 Washington Counties. Opposition to the  
7 dredging is very nearly unanimous. This  
8 in our opinion is a bad idea. We are  
9 worried about increased sediment from the  
10 project, very definitely.

11 Finally in the last few weeks  
12 EPA has admitted that there will be some  
13 increase of PCB sedimentation. We feel  
14 that there will be a huge increase. EPA  
15 really needs to be realistic on this  
16 matter.

17 Thank you.

18 MR. CASPE: Next speaker is Ray  
19 Saladin.

20 MR. SALADIN: I just want to say  
21 I have lived on this river for thirty-two  
22 years. I have seen the river get better.  
23 I want to know what's going to happen to  
24 that eagle that's been flying over the

1 river that I have been seeing. And I just  
2 want to say I'm opposed to the river -- do  
3 some more planning. Let's come up with a  
4 better plan than what you have got.

5 MR. CASPE: Nancy Crosby.

6 MS. CROSBY: Hi, I'm Nancy  
7 Crosby. I am a resident of the Fort  
8 Miller area, and I have grown up on the  
9 Hudson River in Lansingburgh. It's a  
10 beautiful river and I'm very concerned  
11 about your proposal. I feel that the  
12 plans are too sketchy. We don't know  
13 where the sludge will go. I'm concerned  
14 about the upset to the ecosystem,  
15 resuspension of PCBs, and I think the  
16 project is too large, and a trial project  
17 would be better.

18 Thank you.

19 MR. CASPE: Thank you. If I  
20 could call the next five speakers: Tim  
21 Havens, Jane Havens, Florence Mattison,  
22 John Mattison, and Judy Dean.

23 The next speaker is Merrilyn  
24 Pulver.

1 MS. PULVER: Good evening. I'm  
2 Merrilyn Pulver, I am the Fort Edward Town  
3 Supervisor. I'm also co-chair of the  
4 agricultural liaison committee, and I have  
5 been a dairy farmer in Fort Edward for  
6 more years than I would like to say, 33,  
7 34. In 1997 Councilwoman Ruggi and myself  
8 circulated a resolution that has become a  
9 symbol as famous as Uncle Sam is to the  
10 upper river communities. The paid  
11 environmental groups found this resolution  
12 so threatening that they felt a need to  
13 create one of their own. The red shirted  
14 brigade headed south, way south, as they  
15 scrambled for support from municipalities  
16 as far away as New Jersey. They have  
17 focused their attention on towns and  
18 villages more than 100 miles south of this  
19 proposed project. Sixty three upper river  
20 communities are united in opposition to  
21 EPA's proposed plan. I remind you these  
22 are the communities that will suffer the  
23 greatest impact from this inane proposed  
24 project. I call on you tonight to

1 consider these resolutions based on a  
2 weighted vote. Naturally, those nearest  
3 the project should receive the most  
4 credit. Those outside the project, less  
5 credit. And quite frankly those out of  
6 the state should hit the circular file.

7 Thank you.

8 MR. CASPE: Sharon Ruggi.

9 MS. RUGGI: Good evening. I am  
10 Sharon Ruggi, Councilwoman in the Town of  
11 Fort Edward.

12 I want to point out that EPA has  
13 received pro-dredging resolutions from  
14 communities which have placed caveats  
15 that, in my opinion, should result in  
16 being immediately thrown out.

17 For example, Green Island favors  
18 dredging. However, the Mayor of Green  
19 Island, Mr. McNulty, with great bravado,  
20 assured his constituency that the  
21 dewatering facility would not be sited in  
22 that community, and that he has taken care  
23 of that issue in Washington.

24 Unfortunately, we don't have the

1 luxury of having a son in our community  
2 who is a congressman. Congressman McNulty  
3 signed his name as a pro-dredger, and gets  
4 his colleagues to sign while protecting  
5 his father in his own community.

6 The City of Troy seems to be  
7 headed toward a pro-dredging resolution  
8 tomorrow night, but according to today's  
9 Troy Record, I quote: "The only problem  
10 the majority has and the minority is  
11 likely to agree with them, is making sure  
12 a dewatering facility would not end up in  
13 Troy."

14 I say that a resolution from  
15 Troy should immediately be dismissed.

16 What about Bobby Kennedy? A  
17 strong dredging opponent(sic) who often  
18 speaks on behalf of the downstate  
19 environmentalists, who said in October of  
20 1997, and I quote: "I strongly believe  
21 that. I think that there is a problem  
22 with the cleanup in which to execute that  
23 clean up -- wait, I'm sorry. "With the  
24 clean up ultimately because you are going

1 to have to choose a community in which to  
2 execute that cleanup. I live in a Hudson  
3 Valley community and I would not allow it  
4 to happen in my community. I would do  
5 everything in my power to stop it."

6 Again, I call on you to throw  
7 out his pro-dredging comments.

8 Mr. Caspe, tonight I call on you  
9 to take all of the comments from the  
10 communities supporting dredging, send them  
11 a letter asking them to sign an agreement  
12 to accept either a dewatering facility or  
13 landfill, and unless you receive a signed  
14 agreement back, throw out the pro-dredging  
15 resolutions.

16 MR. CASPE: Tim Havens?

17 TIM HAVENS: Good evening ladies  
18 and gentlemen. My name is Tim Havens,  
19 Senior, and I'm a businessman in the  
20 community and President of CEASE, a group  
21 of upper river citizens from all walks of  
22 life who have stood united in opposition  
23 to PCB dredging of the Hudson Falls since  
24 1970.

1 I just want to read you a quick  
2 excerpt out of CEASE position paper from  
3 March 1984, the same year the EPA record  
4 of decision was against dredging the  
5 Hudson River and as they stated in it, it  
6 would be environmentally devastating.

7 This is an excerpt from our  
8 position paper. The reclamation project  
9 should have as it's goal the permanent  
10 destruction of PCBs or appropriate  
11 encapsulations so to prevent downriver  
12 migration and dispersal. CEASE will not  
13 support dredging of the PCBs spoiled  
14 material for indefinite land filling, here  
15 or elsewhere, and our position in 1984, 17  
16 years ago to from right now, is still the  
17 same today.

18 The last four months have been  
19 quite a learning experience. The EPA's  
20 plan calls for the use of four or five  
21 clam shell Tonka Toy style dredges and one  
22 hydraulic cutterhead dredge.

23 The pro-dredging  
24 environmentalists want us to believe

1           hydraulic dredges are new technology.  
2           We've found that they are not often used  
3           in environmental situations as they are  
4           not dependable and sometimes dangerous.

5                     The EPA proposes 10 miles of  
6           underwater pipe line. I have learned that  
7           the abrasion of sediments could wear  
8           through the pipe line without anyone  
9           knowing immediately, and contaminants  
10          could be discharging back into the river,  
11          and that breach would not be noticed for  
12          hours or days.

13                    If the pipe was to blow, as  
14          we've seen previously, the pressure from  
15          the 1,000-horsepower booster pumps would  
16          spew slurry hundreds of feet into the air  
17          and rain contaminants on the river to be  
18          resuspended in the water column.

19                    We learned that EPA has recently  
20          admitted that they have underestimated the  
21          risks of PCB resuspension. Through a FOIL  
22          request CEASE learned that EPA studied  
23          many private properties along the upper  
24          river where dredging is proposed. There

1 are processing facilities and water  
2 treatment plants.

3 These sites were studied in the  
4 fall of 1999 but this information is  
5 willfully withheld from your six volume,  
6 4,000 page feasibility study. You have  
7 delivered to the citizens a document that  
8 does not address the concerns of the  
9 people in the area where the proposed work  
10 is to be done. The whole community  
11 interaction program is flawed. Over a  
12 hundred meetings were held as a gigantic  
13 whitewashing campaign. I'm wrapping up,  
14 Karen. Don't be nervous.

15 The public comment period has  
16 been a scam, and at times it has  
17 disrespected speakers that are opposed to  
18 your plan. You have failed to provide  
19 answers to valid questions posed by many  
20 speakers, and have given private audience  
21 and preferential treatment to those who  
22 agree with and support your ridiculous  
23 proposal.

24 We, the people opposed to

1 dredging, feel the risks associated with  
2 this proposal far outweigh any potential  
3 improvement in the river.

4 Therefore, I respectfully  
5 request you withdraw the phony feasibility  
6 study, go back to the drawing boards with  
7 a legitimate effort to include the  
8 concerns of all affected, and deliver to  
9 the citizens a plan which does not attempt  
10 to pull the wool over the eyes of the  
11 people. (Applause).

12 MR. CASPE: Thank you.

13 There is one issue I do have to  
14 respond to, Tim. We've had a lot of  
15 different opinions on a lot of different  
16 things, but preferential treatment, giving  
17 preferential treatment and private  
18 audiences is something that we have not  
19 done, and -- you can hold your heart all  
20 you want --

21 AUDIENCE: We'll show you the  
22 documents tomorrow evening.

23 MR. CASPE: You show me the  
24 documents tomorrow evening, and if you

1 don't show me the documents tomorrow  
2 evening, then maybe you should realize the  
3 weight of what you're saying.

4 JANE HAVENS: My name is Jane  
5 Havens, and I live in Queensbury. Since  
6 we last spend the evening together  
7 February 7th, I have learned a ton of  
8 information on the EPA's misleading  
9 proposal to dredge the Hudson River. I'll  
10 put as much of it in as I can in two  
11 minutes.

12 The representatives of the EPA  
13 stand before us at these dog and pony  
14 shows, along with their paid mouthpieces,  
15 and try to convince us that they are  
16 looking out for us; that they are  
17 concerned about our health and the health  
18 of the river.

19 You are not concerned about me,  
20 our community, or protecting the Hudson  
21 River environment. You are concerned  
22 about keeping your jobs. This sham of a  
23 proposal is to justify the existence of  
24 the EPA because your organization is not

1           successful.

2                   You speak of GE as if they are  
3           the only business on this river, and PCBs  
4           are the only contaminants. You say  
5           suspected or probable carcinogens when  
6           referring to PCBs. Scientist Susan  
7           Sieber, from the National Cancer Institute  
8           states that they know of no evidence that  
9           eating fish from the Hudson poses a human  
10          cancer risk.

11                   What you do know, and won't talk  
12          about, are the other contaminants in the  
13          river, who discharges them, and their  
14          effects if dredged up. PCBs have been  
15          discharged by New York City and New Jersey  
16          through its sewage treatment plants,  
17          Metro-North Commuter Railroad of  
18          Croton-on-Hudson, Fort Orange Paper  
19          Company of Castleton, and more.

20                   There are also heavy metals that  
21          have been discharged into the river like  
22          arsenic, cadmium, chromium, copper,  
23          cyanide, lead and mercury, from 01 kg per  
24          day to 304 kg per day by the city and town

1 of Poughkeepsie, City of Newburgh,  
2 Peekskill, Red Hook, Hoboken, Ossining,  
3 Town of Cornwall, West Point, just to name  
4 a few. It's no wonder these towns support  
5 dredging. Someone else is going to clean  
6 up their mess.

7 All of this information was  
8 provided to you, the U.S. EPA, Region 2 by  
9 Isaac Chen, HydroQual and New York State  
10 DEC. The information that we need to  
11 fight this proposal is in your own  
12 records. You must be hoping that we are  
13 just too stupid to find it.

14 The previous administration saw  
15 a fall guy in GE and the chance to save  
16 itself. It's time for the new  
17 administration to stop the charade. This  
18 proposal is not about saving the river.  
19 It never has been. It's political and the  
20 river will definitely not be better after  
21 dredging. (Applause.)

22 MR. CASPE: I'm sorry, if you  
23 felt it necessary to use that rhetoric.  
24 To believe that we have -- well, does the

1 truth hurt? I'm sorry that you believe  
2 that's the best your government can give  
3 you.

4 Next speaker is Florence  
5 Mattison.

6 MR. TOMCHUK: Can I make a  
7 comment about the other contaminants?

8 I just think that you have to  
9 keep the idea in mind that the fishing  
10 advisories up and down the river are for  
11 PCBs, except below the area of Cold  
12 Spring, New York, where cadmium is also a  
13 contaminant, but basically those are the  
14 only two contaminants concerned that we  
15 have fishing advisories for.

16 JANE HAVENS: Why isn't it that  
17 every organization that has discharged  
18 PCBs in the river, why aren't they forced  
19 to make a plan?

20 MR. CASPE: Let me explain one  
21 thing. In previous life, when I was  
22 Director of the water program at EPA,  
23 within New York City, New York harbor,  
24 for example, you had sewage treatment

1 plants discharging PCBs at very very low  
2 levels.

3 If you take standard methods to  
4 sample, you come back with non-detect. If  
5 you go and you look with very very fine  
6 type analytical approaches, you find very  
7 very small numbers, parts per trillion,  
8 but when you multiply parts per trillion  
9 times billions of gallon of sewage being  
10 discharged every day into the harbor, all  
11 of a sudden you wind up with a pound, and  
12 we found that, and we went back to New  
13 York City and all the sewage departments  
14 in New York City, and they all had active  
15 trackdown programs, because they don't  
16 come from sewage.

17 They don't come from your toilet  
18 or your sink. They come from spills.  
19 They come from old junk yards. They come  
20 from coatings on old pipes. They come  
21 from a variety of places, and New York  
22 City with New York State, the EPA, we  
23 provided a lot of money, and they're doing  
24 a lot on their own.

1                   They're actually doing a  
2                   trackdown, New York City and the other  
3                   side as well, the New Jersey communities.

4                   So, it's not like we're not  
5                   doing it and this isn't about -- this  
6                   whole thing is not about making one person  
7                   pay -- sometimes people take it as it's  
8                   EPA against GE. This isn't EPA against  
9                   GE. This is EPA trying to do what is  
10                  right for the Hudson River in the area  
11                  we're talking about. You may not believe  
12                  it. If you don't believe it, it's too  
13                  bad. I don't know what to tell you.

14                  The next speaker is, I think,  
15                  John Madison, Florence Madison, Judy Dean?

16                  FLORENCE MATTISON: Florence  
17                  Mattison.

18                  MR. CASPE: Okay, Florence  
19                  Mattison, you got it.

20                  FLORENCE MATTISON: I'm Florence  
21                  Mattison of Hudson Falls. In a land of  
22                  democracy. Upstate New Yorkers are not  
23                  ignorant. We will stand shoulder to  
24                  shoulder to stop EPA dredging the Hudson.

1 EPA has used the media for scare  
2 tactics, precluding information, keeping  
3 secrets, untold truths, making one believe  
4 the EPA has already made up their minds,  
5 disregarding the citizens most affected by  
6 this dredging.

7 EPA says they will resuspend  
8 more PCBs than said in the beginning.  
9 That means, at least, there will be more  
10 traveling downriver, over the Troy dam and  
11 endangering not only upstate, but  
12 downstate, primary water supplies and the  
13 shorelines of them.

14 EPA, can you guarantee our  
15 community won't be totally devastated that  
16 dredging will add -- at least that hasn't  
17 happened or that every animal or aquatic  
18 habitat will not be exterminated.

19 Where are the filtration plants  
20 going to be located? On somebody's land  
21 where you can take 2 miles away?

22 EPA has no positive proof PCBs  
23 cause cancer. The National Cancer  
24 Institute and the American Council of

1 Science and Health as of January, 2001,  
2 says there is no credible evidence on man,  
3 just rats. People aren't rats. At least  
4 most.

5 EPA told the National Council of  
6 Science dredging was dangerous, possibly  
7 making the river more toxic and dangerous,  
8 but totally ignoring the reports and  
9 endangering upstate New Yorkers, creating  
10 health risks, economic loss and endless  
11 destruction.

12 EPA working with the Sierra  
13 Club, other environmental groups tried to  
14 stop the appointment of John Ashcroft  
15 because of their environmentalism.  
16 Politics sure played a big role in this  
17 issue.

18 It's about time the EPA changed  
19 lanes, used the scientific data, updated  
20 research, allowing General Electric to  
21 continue their project. As I said in the  
22 beginning, we live in a land of democracy,  
23 not dictatorship.

24 We upstate New Yorkers say no to

1 dredging. We will make our voices heard,  
2 and the EPA will not dictate the way we  
3 live.

4 MR. CASPE: I would like to  
5 respond to the issue of risk.

6 JOHN MATTISON: I'm John  
7 Mattison.

8 MR. CASPE: Would you just hold  
9 on a minute to let this lady speak?  
10 Marian?

11 MARIAN OLSEN: I would like to  
12 respond to what you just said about the  
13 classification of PCBs as a probable human  
14 carcinogen.

15 Throughout the regulatory  
16 program within EPA and other federal and  
17 international agencies, animals are used  
18 as a way of determining the potential  
19 health effects for humans.

20 It's a way of determining  
21 whether there will be problems in the  
22 future for humans, and EPA evaluated this  
23 in 1996. It was peer reviewed. The  
24 International Agency for Research on

1 Cancer, which is part of the World's  
2 Health Organization, also agreed with EPA.  
3 The National Toxicology Program, as well  
4 as the National Institute for Occupational  
5 Safety and Health.

6 Each of these are the agencies  
7 responsible for determining whether  
8 chemicals are known, probable or possible  
9 carcinogens, and all of them agree with  
10 the EPA.

11 FLORENCE MATTISON: You are  
12 saying they are.

13 MARIAN OLSEN: I am saying they  
14 are probable, which is a different  
15 classification than possible.

16 MR. CASPE: Okay, thank you.

17 JOHN MATTISON: I am John E.  
18 Mattison of Hudson Falls, New York. I'm a  
19 retiree of General Electric company of 35  
20 years. Please correct me if I'm wrong.

21 Number one, EPA was established  
22 December 2, 1970 by Congress.

23 Number two, the superfund is a  
24 group of EPA lawyers and engineers.

1                   Number three, General Electric  
2                   came to Fort Edward in 1942 to build and  
3                   operate the Fort Edward plant for the U.S.  
4                   Government to produce motors, and at the  
5                   end of World War II they started producing  
6                   smaller capacitors.

7                   Number four, the Hudson Falls  
8                   plant was purchased in 1950 from Union Bag  
9                   and Paper Corporation and production of  
10                  power capacitors was transferred to Hudson  
11                  Falls in 1951 from Pittsfield,  
12                  Massachusetts. Thank you.

13                  MR. CASPE: Let me call the next  
14                  five speakers. There's Charles Henehan,  
15                  Dean Summer, Ed Zozick, Tom Misorri and  
16                  Janice McLaughlin, Tom Grover.

17                  Next speaker is Judy Dean.

18                  JUDY DEAN: My name is Judy  
19                  Schmidt Dean. My husband and I own the  
20                  Schuyler Yacht Basin in Schuylerville.  
21                  I'm also Chair of the Citizen's Liaison  
22                  Group.

23                  Rich, Monday night Bill McCabe  
24                  said, and I quote, "It", meaning barges

1 and dredges, "doesn't jam up the river."  
2 Well, Rich, a lock measures 34 and a half  
3 feet wide by 300 feet long. The sediment  
4 barge measures 40 feet by 275 feet.

5 The river channel width is  
6 between 75 and 200 feet, 75 in the land  
7 line sections above lock six, and 200 feet  
8 in the river. A sediment barge is a huge  
9 unit that commands the channel. A barge  
10 alone controls the traffic in a channel.  
11 A hydraulic dredge say at Thompson Island  
12 is running full tilt at all times to  
13 maintain the highest pressures in the  
14 ten-mile steel pipe line, but suddenly  
15 only 250 feet from the dredge, the line  
16 blows, the steel wears out so quickly, and  
17 it erupts sediment 300 feet in all  
18 directions.

19 The emergency team is just south  
20 of lock six, in another hole, when they  
21 are radioed to come quickly. Within ten  
22 minutes they approach the lock, but they  
23 are told a southbound fully loaded barge  
24 has just entered the lock, and they wait

1 thirty minutes for him to be lowered and  
2 exit.

3 They take 20 minutes to go up  
4 and speed to catch up to an empty  
5 northbound barge. They radio the Captain  
6 and are told that because the water level  
7 is low, it's too dangerous to pass, and  
8 they follow for 45 minutes until the  
9 channel opens up and they can safely pass.

10 As they speed by the clamshell  
11 dredge on the port side, their wake rocks  
12 the dredge, but they see dredging is  
13 stopped. Now two hours later they arrive  
14 at the site, and find emergency personnel  
15 is attending, as all the workers on the  
16 clamshell dredge rushed north to help as  
17 the explosion knocked the six men working  
18 on the bridge off into the water, and the  
19 three smaller safety boats that were  
20 circling were all filled with debris, and  
21 overturned, leaving six more men in the  
22 water.

23 Land based emergency crews were  
24 called when the debris hit a man sitting

1 on his patio a hundred feet away, and  
2 although their kitchen window was broken  
3 as his wife washed the dishes, she was  
4 able to call 911 and a local fire truck  
5 boat and EMT crew arrived twenty minutes  
6 after the blast.

7 I will tell you now, there's  
8 nothing more horrifying to marine  
9 contractors than hearing the words "men in  
10 the water."

11 Tell me, at this point, what  
12 recreational boats do you think will  
13 possibly travel this canal for fun?  
14 (Applause).

15 MR. CASPE: Thank you: I would  
16 just say, that's a good piece of fiction  
17 you've written. I didn't swim after I saw  
18 Jaws, but I would also point out -- I  
19 would also point out that just a factual  
20 item, that the pipe line -- again, we have  
21 not designed it, but the pipe line we  
22 would use would likely be plastic, number  
23 one, would not be steel because of erosion  
24 problems, and the pipe lines don't stay

1 down there for five years. You don't  
2 leave them forever. You pull them every  
3 season, and you know, you would be pulling  
4 them. You would replace them as  
5 necessary. It's not where we would be  
6 just putting down and forgetting about it.

7 MR. CASPE: These are all things  
8 that would be worked out in design.

9 AUDIENCE: What happens to the  
10 plant when you're done with it?

11 MR. CASPE: The plant would be  
12 taken away. I shouldn't break here. This  
13 is an important question.

14 After the dewatering is done,  
15 after we don't need it any more we would  
16 restore that site to a condition, frankly,  
17 that would be better than we found it.

18 That would be some of the issues  
19 that people ask. When you talk to people  
20 about other sites, you talk about siting  
21 facilities, they usually ask questions  
22 about, well, what kind of improvement  
23 program is involved in this? What do I  
24 get out of it? Usually people get

1 something out of it, quite frankly. They  
2 wind up with a better piece of property  
3 when they're done, than when they started.  
4 They'll demobilize that plant by using  
5 trucks, by the way.

6 Dean Summer?

7 DEAN SUMMER: My name is Dean  
8 Summer. I'm an attorney representing  
9 Farmers Against Irresponsible Remediation.  
10 FAIR is a citizen group of farmers and  
11 landowners who have joined together  
12 because of their concern that the proposed  
13 remedy may have very significant impact on  
14 their properties, farming practices, and  
15 their communities.

16 They have been denied the  
17 ability to meaningfully comment on such  
18 impacts, because the U.S. EPA feasibility  
19 study failed to discuss them. FAIR  
20 Members have statutory rights of  
21 meaningful participation during the  
22 feasibility study stage, and U.S. EPA has  
23 a statutory obligation to discuss the  
24 impact associated with this proposed

1           remedy in the feasibility study.

2                   In other words, the risks of the  
3           remedy must be disclosed in the  
4           feasibility study, and not at the design  
5           stage. The feasibility study failed to  
6           discuss and disclose the impact of the  
7           remedy, including air emissions, noise  
8           lighting, impact on traffic and  
9           transportation, corridors, irrigation and  
10          land consumption associated with the  
11          mines, yet also failed to identify the  
12          location of the mines and the treatment  
13          plant, depriving the public of important  
14          project information.

15                 The FS document is simply  
16          conceptual with regard to the risks  
17          emissions, and impact of the construction  
18          project which are most important to the  
19          people living in the dredging area.

20                 Here's the reality of the  
21          situation. U.S. EPA is a project sponsor  
22          of a huge heavy equipment, hazardous waste  
23          removal and treatment industrial  
24          construction program which will be

1 operational for more than five years, and  
2 yet, unlike any other project sponsored in  
3 this country, the EPA has failed to  
4 discuss the risks of the project.

5 FAIR members seek what every  
6 environmental and citizen group asked the  
7 project sponsors, to identify the entire  
8 project and tell them of the impact and  
9 risks associated with the project. The  
10 community has a right to know.

11 By refusing to disclose this  
12 information, so that the community can  
13 fully review and comment upon the risks  
14 and benefits of the program, EPA is  
15 depriving the FAIR members their statutory  
16 rights to public participation.

17 It's not the number of meetings  
18 that you hold which determines compliance  
19 with participation mandates, it is the  
20 quality of the disclosure of the  
21 information which is mandated by NTP and  
22 your own guidance documents. Here the  
23 detailed analysis of the FS stage is  
24 missing.

1 EPA has said that they will  
2 discuss these matters during the design  
3 stage. FAIR members, however, note that  
4 public participation is not statutorily  
5 required at that stage.

6 By refusing to discuss the risks  
7 of remedies so that the public can comment  
8 upon them, you deprive the community of  
9 basic information.

10 yyyyyyyyyyyyyyyyyyyyyyyyyyyyyyyyyyyyyy  
11 yyyyyyyyyyyyyyyyyyyyyyyyyyyyyyyyyyyyyy be  
12 advised of the risks of the remedies is  
13 one of the many criticisms made by the  
14 National Academy of Science report.

15 In summary, without completing  
16 the FS in a detailed manner, you are  
17 depriving the public of their statutory  
18 rights. The design stage is too late.  
19 The public has a right to know now. You  
20 must complete the FS before issuing the  
21 rod. Don't destroy the integrity of the  
22 public participation process, and don't  
23 rush the judgment. Thank you.

24 (Applause.)

1 MR. TOMCHUK: I would just like  
2 to respond to the point that the FS not  
3 adequately addressing the risks, short  
4 term risks --

5 DEAN SUMMER: Can I have a  
6 dialogue with you on that?

7 MR. CASPE: Not here. Maybe  
8 afterwards you can come up and we can talk  
9 about it.

10 MR. TOMCHUK: I would just like  
11 to say, the feasibility study does address  
12 short term risks of the remedy. As we  
13 explained in response before, much of that  
14 has to be done on a qualitative basis  
15 simply because we have not yet designed a  
16 remedy. We haven't selected the location,  
17 for the transfer facility. We haven't  
18 decided on what type of dredging would be  
19 used, things of that nature, but the  
20 feasibility study does address the  
21 short-term risks for the remedy as  
22 proposed in the FS and in the proposed  
23 plan.

24 MR. CASPE: Ed Zozick?

1 ED ZOZICK: Good evening,  
2 everyone. My name is Ed Zozick, a  
3 lifelong farmer, between Bemis Heights and  
4 Saratoga Lake within 2 miles of the Hudson  
5 River.

6 We are strongly opposed to the  
7 dredging, because all it's going to do is  
8 like after a thunderstorm, you get a mud  
9 puddle, it settles, you disturb it and you  
10 have all kinds of sediment, so therefore,  
11 I cannot see any perfect reason for  
12 dredging. Thank you very much.

13 (Applause.)

14 MR. CASPE: Let me give the next  
15 five, please? Dudley Bailey, Phil Tucker,  
16 Jay Whitcomb, Katie DeGroot, Sean  
17 Tarantino, and William B. Cook.

18 The next speaker is Janice  
19 McLaughlin? Okay. Tom Grover?

20 AUDIENCE: Can I ask one  
21 question? I spoke, but --

22 MR. CASPE: I would be happy to  
23 talk to you privately. There are 81  
24 people here that want to talk, and I've

1 got to get through those 81 people.

2 TOM GROVER: I'm Tom Grover,  
3 reside in the Town of Moreau, I'm opposed  
4 to dredging. I have been for a long time.  
5 You always hear about the probable  
6 carcinogens.

7 To the best of my knowledge,  
8 there's still no proof of any cancer in  
9 humans at this time. Dredging just does  
10 not make sense to me. Thank you.  
11 (Applause).

12 MR. CASPE: Debbie Bailey? Phil  
13 Tucker?

14 PHIL TUCKER: Good evening, and  
15 thank you for this opportunity to speak  
16 tonight.

17 My name is Phil Tucker. I  
18 address you as the spokesperson for the  
19 Glens Falls Building and Construction  
20 Trades Council, and also the Greater Glens  
21 Falls Central Labor Council, consisting of  
22 thousands of working families who live,  
23 work and benefit in the quality of life we  
24 enjoy in the area.

1                   We're here to announce our  
2                   support for the EPA clean up plan to the  
3                   Hudson River. We feel the river in its  
4                   current state is a deterrent to the  
5                   economic development of the area to say  
6                   nothing of the environmental, health and  
7                   recreational issues.

8                   This project could provide  
9                   hundreds of jobs for local citizens and  
10                  create a cleaner environment to attract  
11                  economic development. We view the GE  
12                  proposals as self-serving, and actually  
13                  misinformed the public about environmental  
14                  dredging and effectively ignore the  
15                  problem.

16                  We know that over 500 pounds of  
17                  PCBs are traveling over the Troy dam  
18                  annually. GE claims the river will clean  
19                  itself after they stop the release of  
20                  three ounces per day. Everyone that can  
21                  do math realizes that 21-ounces are  
22                  flowing over the Troy dam a day.

23                  If we use GE's numbers, we're  
24                  left with 18-ounces of PCBs that flow over

1 the Troy dam daily. These PCBs are coming  
2 out of the sediment, and that is the  
3 reason we need to clean them up and allow  
4 the process of restoration.

5 Thank you.

6 POLICE REPRESENTATIVE: Good  
7 evening ladies and gentlemen and we  
8 apologize for the interruption. We must  
9 excuse you at this time in a nice orderly  
10 fashion.

11 We have an unattended package  
12 located in the facility, and as a  
13 precautionary measure we are attempting to  
14 evacuate this area and all individuals in  
15 this building. If you would, please, in  
16 an orderly fashion, do not go out the  
17 entrance in the back end.

18 If you would, go past this  
19 gentleman, out the cafeteria away from the  
20 building, or out that way out of the  
21 building?

22 (Recess taken for evacuation of building.)

23 MR. CASPE: I was handed  
24 something, I didn't read it yet, but

1           somebody told me they had to leave and  
2           they asked me if I would read it, so I'm  
3           going to do something really foolish, to  
4           read it without reading it first, so let's  
5           see what it says, by Adam Thorpe.

6                     "I think that we need to look  
7           into the future, not just at the present.  
8           EPA is doing the right -- glad I'm reading  
9           it. EPA is doing the right thing by  
10          dredging by protecting the future  
11          generation. This procedure may not look  
12          pleasant now, but we must sacrifice some  
13          inconvenience to make a better environment  
14          for our children.

15                    I understand the feelings of  
16          those who oppose dredging, but you must  
17          not be selfish. It's time to start a  
18          cleanup process to stop future mishaps and  
19          start the way to a better environment for  
20          the future." That was by Adam Thorpe.

21                    Anybody remember who had been  
22          called and who hadn't been called? Adam  
23          Thorpe was next. I just read his  
24          statement.

1 MR. CASPE: I seem to be up to  
2 Phil Tucker. Is Phil Tucker here?

3 MR. TUCKER: I was the last one  
4 to speak.

5 MR. CASPE: Okay. Good. Then  
6 I'm in the right place. Jay Whitcomb,  
7 then after that it was Katie DeGroot,  
8 William Cooke, John Tarantino, Jason  
9 Brichko, Dan Shaw and Patrick Shannon,  
10 Baret Pinyoun. Okay. Are any of those  
11 people here?

12 Jay Whitcomb? (No response.)

13 MS. DE GROOT: My name is Katie  
14 DeGroot - D-E G-R-O-O-T. And I am a  
15 co-chair of the Citizens Liaison Group.  
16 While I am not a rat or a guinea pig I  
17 would be willing to be one in pursuit of  
18 the truth. I am here to give you my  
19 comments on the EPA's Hudson River  
20 Project. As co-chair of the Citizen's  
21 Liaison Group and granddaughter of the  
22 founding member of CEASE, I have been  
23 involved in this complicated issue for  
24 over 20 years. To me the core issue is

1 the assumption that PCBs are a serious  
2 threat to human health. We as a citizens  
3 group have repeatedly asked the EPA to  
4 provide us with the evidence that would  
5 seem necessary to proceed with this  
6 fantastically expensive and disruptive  
7 project. Why is the EPA depending on  
8 studies of rats and people who live near  
9 far away lakes and other rivers to provide  
10 the decidedly unclear and unconvincing  
11 case to dredge our river? Why have we not  
12 been studied? My family has lived on the  
13 river for four generations. Why not study  
14 me and the other residents along the  
15 shores of the upper Hudson River? The EPA  
16 must be able to prove to us why this vast  
17 project with its huge expenditures and  
18 physical destruction of the river should  
19 take place before we can be asked to  
20 support it.

21 Although Mr. Caspe has stated  
22 that studies prove that PCBs are dangerous  
23 the studies he is talking about are known  
24 throughout the scientific community to be

1 at best problematic. Some are considered  
2 specifically to be of poor quality because  
3 they lack control groups, and fail to take  
4 into consideration such obvious life scale  
5 problems as alcohol and smoking. EPA  
6 science must pass a real peer review panel  
7 with open discussion between the  
8 scientists on the assumption and the  
9 conclusions of this complicated problem.  
10 The peer review allowed was a farce. It  
11 only dealt with process and method, not  
12 actual process and method. Over 20 years  
13 has been spent studying the fish, the  
14 birds, and even the vultures along the  
15 river. What about us, the people?

16 Again, we as a citizens group  
17 are asked to participate in this project.  
18 We were told we would have a voice. I'm  
19 here to tell you we have not yet been  
20 heard. Irregardless of who pays for it  
21 there are still too many unanswered  
22 questions for the EPA to ask the public to  
23 support a project where the cost to all of  
24 us will be monumental.

1 Thank you.

2 MS. OLSEN: I would like to  
3 respond to several of the issues that you  
4 raised. First, EPA's evaluation of the  
5 carcinogenicity of PCBs was conducted in  
6 1996. This was a re-evaluation. There  
7 was an independent -- there was a peer  
8 review panel of 15 experts that evaluated  
9 EPA's science, and it was submitted to  
10 Congress on October 1st of 1996. This,  
11 again, was evaluated by the agency and  
12 peer review.

13 I would also like to address  
14 your second question about the studies.  
15 Several of these studies were conducted in  
16 areas where there was large fish  
17 consumption. They have been following  
18 these children for a number of years, and  
19 these studies included controls, and they  
20 also addressed confounders such as you  
21 have mentioned which was alcohol  
22 consumption and other exposures that may  
23 lead to these effects. These studies were  
24 published in the New England Journal of

1 Medicine, American Journal of Public  
2 Health and internationally. These are  
3 well recognized journals that have  
4 independent peer review.

5 And, finally, I would like to  
6 address the question about conducting a  
7 study in this area. New York State  
8 Department of Health is currently in the  
9 process of conducting a study, and I have  
10 information I can provide later if you are  
11 interested. They are looking at specific  
12 health end points. There are 200 people  
13 involved in this study, a control group of  
14 100 people and exposed group of another  
15 100 people. The first round of sampling  
16 was completed last year, and there is a  
17 plan to conduct the rest of the sampling  
18 this summer, and I can, if you would like,  
19 speak to you about the contact at the New  
20 York State Department of Health you may  
21 speak with. The areas that they are  
22 concerned with are Glens Falls as a  
23 control population, and Hudson Falls as  
24 the area that is being evaluated as the

1 exposed population. (Speaker asked a  
2 question but without a microphone.)

3 All right. As I said --

4 MR. CASPE: Could you repeat the  
5 question?

6 MS. OLSEN: The question was why  
7 wasn't the public invited to participate  
8 in the study. There actually is an  
9 announcement of this from the Commissioner  
10 of the New York State Department of  
11 Health, and they are recruiting  
12 individuals from the area. And I, again,  
13 would -- we are aware of the study. We  
14 are not conducting it for EPA, and I think  
15 we should speak to the scientist who is  
16 the principal investigator for the study.

17 MR. CASPE: Thank you. Next  
18 speaker is John Tarantino. Is John here?  
19 (No response.) Next speaker is William B.  
20 Cook.

21 MR. COOK: Good evening. Thank  
22 you for the time to allow me to address  
23 this body. My name is William Cook. I am  
24 the President of the Saratoga County

1 Central Labor Council representing over  
2 19,000 union members and their families in  
3 the county.

4 After years of scientific  
5 research and debate the EPA is entering  
6 into it's final stage for consideration  
7 for dredging of the PCB pollution in the  
8 upper Hudson River. Labor Council 2 has  
9 taken time to consider both sides of the  
10 issue and is going on record tonight as  
11 taking the position that the river must be  
12 dredged. The existence of the PCBs in the  
13 river bottom has created a waterway that  
14 is an industrial brownfield. Like all  
15 brownfields further use and development of  
16 that property is not possible without an  
17 environmental cleanup.

18 This issue is not about General  
19 Electric and the Environmental Protection  
20 Agency. This issue is about economic  
21 development along the upper Hudson. The  
22 Hudson River has great untapped potential  
23 for recreational, commercial, navigational  
24 opportunities. Yet the existence of PCBs

1 in the river sediment prevents  
2 individuals, businesses and communities  
3 from fully developing and enjoying all the  
4 river has to offer.

5 The river must by law be free  
6 for navigation. Yet this brownfield is  
7 preventing the dredging of this river that  
8 we are legally entitled to use. Without a  
9 cleanup PCBs will forever impede economic  
10 progress and development along this  
11 international waterway. The dredging can  
12 be successful both environmentally and  
13 economically.

14 Local 106 of the Operating  
15 Engineers has been involved in the cleanup  
16 of the Cumberland Bay, a very successful  
17 cleanup project. The dredging techniques  
18 that are used there protect the  
19 environment. The techniques are a far  
20 cry from the inflammatory images you see  
21 on television. The cleanup will bring an  
22 economic boost to our north country by  
23 infusing good paying jobs for many years.

24 Following the cleanup this upper

1 Hudson region can be used as a premier  
2 tourist attraction and navigational route  
3 for commerce and recreation.

4 The Council is not in a position  
5 to support or dispute the science. We  
6 believe, however, that remediation of the  
7 brownfields are and will be politically  
8 less than perfect. However, it goes  
9 without dispute that the pollution exists,  
10 and that until the pollution is abated  
11 full development of the river's resources  
12 will not proceed. The Council does not  
13 believe that it is practical to wait for a  
14 perfect political solution. The  
15 remediation of the pollution is long past  
16 due, the communities and their populations  
17 along the Hudson River need and deserve a  
18 new future free from the burden of the  
19 brownfield.

20 The Council urges the EPA to  
21 proceed for our children, for our  
22 communities, for our future.

23 Thank you very much.

24 MR. CASPE: Thank you. I will

1 call the next ten speakers: David Higby,  
2 Marion Trieste, David Mathis, Glen  
3 Carlson, Craig Williams, Diane Tucker,  
4 Paul Lilac, Jan Wolski, Steven Ramsey,  
5 Jason Brechko.

6 The next speaker is Jason  
7 Brechko. (No response.) He filled out  
8 two cards. Okay, Dan Shaw.

9 MR. SHAW: My name is Dan Shaw  
10 and I would like to thank you all for  
11 allowing me to speak tonight.

12 I'm not a technical expert, but  
13 I do like to fool around with a calculator  
14 a little bit, and I would like everybody  
15 to think when they were kids, and if they  
16 stepped in a mud puddle, didn't take any  
17 dirt out, didn't put any in, but when they  
18 stepped in and they stepped out that  
19 disturbance, that silt, that moved. Now  
20 if you take your numbers, which are  
21 2.6 million cubic yards, and take your  
22 number of 100,000 pounds of PCBs, and then  
23 use the number of 38 pounds per year of  
24 PCBs that you will lose, you said, through

1 the sediment of the dredging. Well the  
2 2.65 million yards is a ditch that's, I  
3 think. 16 feet wide, 10 feet deep  
4 starting in Hudson Falls and going to New  
5 York City. It's 175,000 truck loads of  
6 dirt. Now if you use your -- that's how  
7 much it is. If you use your 38 pounds of  
8 lost PCBs and factor in the percentage of  
9 the silt, of the pounds of dirt or muck  
10 that you are actually moving, that your  
11 loss ratio is not 1 percent, not a tenth  
12 of 1 percent, not a 100th of 1 percent,  
13 but .004 of 1 percent loss. Now that is  
14 less than the dust off a cab of a truck  
15 that you are loading from a ditch on dry  
16 ground. I think that's a bad number. And  
17 I think that number could be 10 times or a  
18 100 times more than that. And I'm  
19 wondering where that came up with that 38  
20 pounds, and I would really appreciate it  
21 if you went back and rechecked those  
22 numbers because they are not working for  
23 me.

24 MR. CASPE: Thank you. Actually

1 we have checked those numbers and  
2 rechecked them. And the numbers are based  
3 upon historical lost rates at sites that  
4 we have looked at, and looked at in great  
5 detail.

6 I think in your calculations the  
7 38 pounds should be being compared to  
8 20,000 pounds a year of PCBs that are  
9 roughly being removed from the river.  
10 It's not the volume of the total sediment.  
11 If we are removing 100,000 pounds of PCBs  
12 over five years, then you are removing  
13 20,000 pounds a year. If you look at  
14 20,000 pounds, and then -- or if you take  
15 the number you are looking at, which is  
16 the 38 pounds, and divide it by 20,000,  
17 you wind up with .19 percent --

18 MR. SHAW: Don't you have to use  
19 the 2.6 million cubic yards?

20 MR. CASPE: No, because the  
21 amount of -- a lot of that is clean  
22 sediment. A lot of the rest of the  
23 material left to be cleaned is clean  
24 sediment. We are not talking about clean

1 sediment, we are talking about just PCBs.

2 MR. SHAW: Right, but out of  
3 that 2.65 million cubic yards you are  
4 going to remove with it, a 100 pounds of  
5 that is going to be PCBs, is that right?

6 MR. CASPE: Yes.

7 MR. SHAW: Well that figures out  
8 to a ratio of 8,000:1 poundage wise. If  
9 you're using a calculation of 3,000 pounds  
10 per yard, which is a standard calculation  
11 for dirt.

12 MR. CASPE: Right.

13 MR. SHAW: Now is that ratio  
14 8,000:1 -- I don't care if you want to do  
15 it over five years or one year, you are  
16 using 38 pounds per year so I'm using  
17 rations, and it's coming up .004 of 1  
18 percent.

19 MR. CASPE: We would be glad to  
20 sit with you after the meeting if you  
21 would like or at a different time, and run  
22 the numbers with you and show you how we  
23 come up with the numbers we come up with.  
24 Thank you.

1 Patrick Shannon?

2 MR. SHANNON: Hello, my name is  
3 Patrick Shannon. I'm with the Sierra  
4 Club. I would like to commend the EPA for  
5 their proposed plan to clean up the PCBs  
6 from the Hudson River. This river has  
7 been studied for over a decade,  
8 scientifically, and the PCBs are not going  
9 away. As we all see on the graph, they  
10 are not going away, and now is the time  
11 for action.

12 Many people are calling on a  
13 pilot project to see if this will actually  
14 work, but we don't have to look any  
15 further than Hudson Falls. General  
16 Electric conducted their own dredging  
17 project from 97-98. Not too many people  
18 know about that. They did a dredging  
19 project with the state DEC. Within that  
20 project they had two silk curtains around  
21 the Hudson Falls plant site where they  
22 used a clamshell dredge, a Tonka toy  
23 dredge, if you will, just like in the  
24 commercials. And GE's own sampling of the

1 water outside that, they saw that the  
2 resuspension, or the stirring up of the  
3 PCBs was very low. It was so low to the  
4 point that one day it was non-detect, you  
5 could not detect PCBs coming downstream  
6 from this dredging project.

7 So I would encourage anyone to  
8 think about that and think about the  
9 possibilities that GE has the technology.  
10 They know how to do this. They have done  
11 a pilot project already. Now is the time  
12 to have clean up these PCBs forever, and I  
13 applaud the EPA and encourage you to go  
14 ahead with the full plan.

15 Thank you.

16 MR. CASPE: Next speaker is  
17 Baret Pinyoun.

18 MS. PINYOUN: Thank you. My  
19 name is Baret Pinyoun, and I work for the  
20 Sierra Club. We are one of those  
21 environmental groups that everyone has  
22 been talking about.

23 I just feel the need to clear  
24 something up. People keep saying that

1 these downstate environmental groups are  
2 coming up here and saying all these things  
3 about the river, and that we are just  
4 getting paid for our work. I live in  
5 Saratoga Springs. The people I work with  
6 live in Saratoga Springs. Some of them  
7 live in Gansevoort. I've lived in  
8 Schuylerville. We are also upriver  
9 people, we are upriver residents. This  
10 effects us as well.

11 I think that the EPA proposal is  
12 a good start in cleaning up PCBs. I  
13 actually think that Alternative #5 in your  
14 plan makes more sense. I think that with  
15 the latest information from the DEC report  
16 that came out that we seriously need to  
17 consider the other health problems of  
18 PCBs. The PCBs are not staying in the  
19 river. They are not being buried.

20 We applaud the EPA for working  
21 diligently on this, and we think that your  
22 public process has been incredible, and we  
23 commend you for that.

24 Thank you.

1 MR. CASPE: David Higby.

2 After David Higby, the people  
3 who I called out, the next 10, you can  
4 come down.

5 MR. HIGBY: I had a prepared  
6 statement. I left it up in the box up in  
7 the back and it seems to be gone now.

8 My name is David Higby. I am a  
9 25 year resident of the upper river  
10 region, and my wife, Nancy, grew up on a  
11 family farm in Easton, a river town just  
12 south of Thompson Island Pool. That seems  
13 to be important, but just for the record,  
14 I'm also a person who thinks that the  
15 10 million people who live in the super  
16 fund site south of Troy also matter in  
17 this issue.

18 I'm also the Solid Waste  
19 Director for Environmental Advocates of  
20 New York State. We are an education and  
21 advocacy group in Albany that represents  
22 over 7,000 people statewide and 130  
23 grassroots groups and we are the state  
24 affiliate for Region 2 of EPA for the

1 National Wildlife Federation and that  
2 group has over 4 million members  
3 nationwide.

4 We are very concerned with some  
5 of the recent developments and will be  
6 submitting detailed comments about the  
7 effect on wildlife as well as the soil  
8 testing that's of great interest to us as  
9 well as the effect on local economy if  
10 there is no remediation.

11 Tonight I just want to make a  
12 brief comment about citizen participation  
13 because it's something that's very  
14 important to me. Assemblywoman Little,  
15 who apparently has left, brought in the  
16 Hudson Falls incinerator that was an issue  
17 that I also worked on. I was very much  
18 opposed to that for financial and  
19 environmental reasons. The local  
20 political establishment at that time did  
21 everything it could to squash public  
22 participation. In fact, they sued 328  
23 Washington County residents, my wife and I  
24 were two of them. Each of us were sued

1       for \$1.4 million in order to stifle that  
2       participation. A federal jury later found  
3       that that act violated our U.S.  
4       constitutional rights. That's the kind of  
5       thing that can happen around here. We  
6       want to make sure that does not happen.

7               I believe that the EPA has tried  
8       very hard and I commend you. The public  
9       participation part of this has failed, I  
10      believe, but I don't believe it's your  
11      fault. I understand, in fact, that you  
12      are getting an award next week including  
13      some for your public participation work,  
14      and I applaud you for that and I thank you  
15      for it. But we do need to figure out a  
16      way to get public participation  
17      particularly through the engineering phase  
18      of this because I have concerns about the  
19      way it will be implemented. I know that  
20      many of my neighbors in Washington County  
21      and Saratoga County do as well. I hope  
22      that together we can all work through this  
23      so that the wounds that have been created  
24      by the polluter in this case will be

1           healed along with the river.

2                   Thank you very much.

3                   MS. TRIESTE: I'm Marian  
4           Trieste, and I'm a Public Educator for  
5           Scenic Hudson. Also co-chair of EPA's  
6           environmental liaison group, and I live in  
7           Schuylerville.

8                   I was in Hudson Falls at your  
9           Hudson Falls meeting, and I addressed the  
10          importance of moving forward with your  
11          plan. I think it's really important that  
12          we eliminate the PCBs as much as we can  
13          throughout the hot spots and that we need  
14          to go even further. And I was concerned  
15          about shore line contamination at that  
16          time, which was prior to the release of  
17          very important data that I would like to  
18          read from directly from DEC's press  
19          release because I think it's really  
20          critical that the most effected citizens  
21          upriver understand the importance of this  
22          data.

23                   Primarily Trent(sic) indicated  
24          by this study, this is the DEC study, show

1 the average PCB levels in river otters  
2 that live within 10 kilometers of the  
3 upper Hudson River is 172 parts per  
4 million; the level for minks trapped in  
5 areas within one kilometer of the river is  
6 33 parts per million. Otters feed  
7 primarily on fish and other aquatic  
8 animals. This is really telling us  
9 something about what's happening to our  
10 ecosystem. The other results are based on  
11 scientific research of mink and European  
12 otters. The PCBs found in upper Hudson  
13 River mink and otter may cause adverse  
14 health effects and reproductive problems  
15 in these animals.

16 Another really critical part of  
17 this study was involving flood plain soils  
18 in the upper Hudson River valley between  
19 Stillwater and Saratoga County, Fort  
20 Edward, Washington County, the ranging PCB  
21 levels were from 0.18 parts per million  
22 all the way up to 360 parts per million.  
23 And these levels were generally highest in  
24 low lying areas adjacent to the river and

1 areas closest to Fort Edward.

2 The citizens of this region  
3 should really look at this data. It's  
4 very telling. It's obvious that the  
5 sediment in the Hudson River are causing a  
6 major problem that has to be fixed in  
7 order to eliminate what's happening on our  
8 flood plains.

9 Our kids are playing along our  
10 shorelines. Anyone owning property,  
11 anyone visiting the shore lines of the  
12 Hudson River has to be concerned about  
13 this. And I hope that the EPA will look  
14 into this problem because this is an  
15 additional health risk I feel aside from  
16 eating fish from the Hudson River.

17 Thank you.

18 MR. MATHIS: I'm David Mathis -  
19 M-A-T-H-I-S. I live on the river just  
20 north of Schuylerville on property that my  
21 grandparents bought back in the 20s, about  
22 20 years before PCBs started being put  
23 into the river.

24 A little while ago I wrote to

1 John Sweeney, the Congressman. I said we  
2 really should dredge the river, we really  
3 should clean it up, so. I gave several  
4 reasons. So he wrote back and said he is  
5 going to guarantee that PCBs don't go in  
6 my back yard. So I wrote back and said,  
7 well my back yard is the Hudson River.  
8 The PCBs are there and it's getting worse  
9 and I thank you very much for becoming  
10 pro-dredge.

11 The river really needs to be  
12 dredged. It's getting a lot shallower.  
13 The channel was 12 feet at one time. It's  
14 supposed to be 12 feet. Some places it's  
15 eight feet. So it's thirty percent filled  
16 in. It won't be too long and you are not  
17 going to be able to get boats on the  
18 river, only the little fishing boats.  
19 Anything big that brings money into the  
20 area won't be able to come up here.

21 But after reading the data just  
22 recently released I found that the river  
23 banks are a hazardous waste. Not just the  
24 river, but the banks. Anything more than

1 50 parts per million is a hazardous waste.  
2 What vacationer wants to go to a hazardous  
3 waste dump and spend his money? You are  
4 not going to have that. Now GE says EPA's  
5 plan would take up to ten years to clean  
6 the river, but GE's plan could take over a  
7 thousand. It's time to clean the river  
8 now.

9 MR. CASPE: Anybody else I  
10 called? Glen Carlson, Craig Williams,  
11 Diane Tucker, Paul Lilac, Jan Wolski,  
12 Stephen Ramsey.

13 MR. CRAIG WILLIAMS: My name is  
14 Craig Williams and I don't envy any of you  
15 guys.

16 I have got two questions, one of  
17 which was asked about two hours ago, and  
18 was never answered, and the second one was  
19 asked twice, and as far as I'm concerned  
20 still hasn't been answered, and that's the  
21 fine young lady up there.

22 Last week the EPA announced, and  
23 you folks reiterated, that the  
24 resuspension rates during the dredging are

1 estimated at something in the order of 30  
2 pounds per year, and the current rates are  
3 at the order of 500 pounds per year. The  
4 gentleman two hours ago referred to the  
5 Fox River in the Wisconsin effort. That  
6 study has suggested that those rates could  
7 be low by at least an order of magnitude  
8 if not perhaps 20 to 25 times more. Thus  
9 making dredging versus not dredging  
10 resuspension rates comparable. The first  
11 question is how then would you rationalize  
12 expenditure of \$460 million dollars if you  
13 are going to have no measurable  
14 improvement, question one.

15 Question two: Has been asked  
16 twice. I'm going to try it again. There  
17 have been quite a few studies, primarily  
18 I'm referring to the National Institute of  
19 Occupational Safety and Health and the  
20 four that deal with heavily exposed --  
21 people who are heavily exposed to PCBs,  
22 job related. And those studies have  
23 failed to show any linkage between PCB  
24 exposure even at the order of parts per

1 million, and elevated human cancer rates.  
2 And I have read your brochures, and I have  
3 seen a lot of the words "probable cause",  
4 "may cause", but what evidence do you have  
5 that shows unambiguous causality between  
6 specific concentration levels. I really  
7 don't care how many parts per million are  
8 retained in fish. What you have to show  
9 is does it cause cancer and can you prove  
10 that. And PCB exposure and elevated human  
11 cancer rates. And I don't want to hear  
12 something about 1996. This has been going  
13 on long before that. I don't want to hear  
14 anything about TUSCA(sic) and CIRCLA(sic)  
15 or rats studied from 15 years ago.

16 So do you want to take the  
17 second one first?

18 MR. CASPE: That's it, right?

19 MR. CRAIG WILLIAMS: Yes, the  
20 second one is for you.

21 MR. CASPE: We figured that.

22 MS. OLSEN: To address your  
23 question there have been a number of  
24 occupational studies that have evaluated

1 workers that were exposed to PCBs for  
2 varying periods of time. These studies  
3 were conducted both nationally and  
4 internationally. The summary of those  
5 studies is provided by the agency in a  
6 toxicological file, a system that we have.  
7 It's called Integrated Risk Information  
8 System and there were four studies that  
9 provided suggestive evidence. These  
10 studies showed some elevations, but one of  
11 the problems associated with them were the  
12 small sample sizes, the brief follow-up  
13 periods, and exposures to other chemicals.

14 I would be more than happy to  
15 provide you with a copy of these files and  
16 information about the suggestive evidence  
17 that the agency used in determining that  
18 it is a probable human carcinogen.

19 MR. CRAIG WILLIAMS: I will take  
20 you up on it. And the first question?

21 MR. TOMCHUK: With respect to  
22 the resuspension, the Fox River study, we  
23 have taken a look at that, and we have  
24 some difficulties with their use of the

1 mass balance in that study to determine  
2 the resuspension rates as it would apply  
3 to other projects. Basically the distance  
4 down stream, integrating across the river  
5 section and a number of other reasons that  
6 we don't believe that that is the most  
7 appropriate data to use. The data that we  
8 have used comes from a number of different  
9 studies, and it's based on resuspension of  
10 sediment not PCBs. And, basically, what  
11 we did was we took the PCBs -- we took the  
12 PCBs, figured out the concentration on  
13 that sediment, and anything that was in  
14 the water past 100 feet, we kept in the  
15 water. We didn't say anything would  
16 settle out -- we ran a dispersion model  
17 first, I should say, and then anything in  
18 the water after 100 feet was kept in the  
19 water. So it's a fairly conservative  
20 assumption, and basically it's also  
21 conservative because of a number of the  
22 reasons we did that in the rates, the  
23 resuspension rates.

24 MR. CASPE: Thank you, Doug.

1 MR. CARLSON: My name is Glen  
2 Carlson. How ridiculous would it sound if  
3 you heard this in a courtroom:

4 Ladies and Gentlemen of the  
5 Jury, we want you to find the defendant  
6 guilty because he probably robbed that  
7 bank. I don't have proof but he probably  
8 did it.

9 Ladies and Gentlemen of the  
10 North Country, we want to turn your lives  
11 and your communities upside down because  
12 PCBs probably harm humans. No, we can't  
13 prove it, but we think they do it.

14 It used to be in this country  
15 you needed proof to take such a drastic  
16 action. Apparently not anymore.  
17 Everything along the river and in the  
18 river is alive, except for the animals  
19 that you guys kill to test to see how  
20 healthy they are. Thank you.

21 MR. CASPE: Diane Tucker, Paul  
22 Lilac, Jan Wolski, Stephen Ramsey. Any of  
23 those people here? Come speak.

24 MR. RAMSEY: My name is Steve

1 Ramsey. I'm Vice President of Corporate  
2 Environmental Programs for the General  
3 Electric Company. That includes  
4 responsibility for the Hudson River  
5 project, and the work that we have done.  
6 I have attended almost all of these public  
7 meetings and before I get started I would  
8 like to commend everybody who has  
9 participated whether you agree with us,  
10 agree with EPA or have no opinion. I want  
11 to particularly commend the folks from  
12 CEASE and the upper river and their  
13 officials who had the courage to stand up  
14 three times in the last 25 years and now a  
15 fourth time to oppose a massive dredging  
16 project in their communities.

17 I think I would just like to  
18 summarize what I think we know at this  
19 point, and then talk a little bit about  
20 what we don't know. First off we know  
21 that dredging and source control will  
22 achieve all of the targets that EPA it  
23 says it will meet in the upper river so  
24 they will achieve the same benefit

1 regardless of whether it's source control  
2 or dredging that comes from the EPA  
3 report. We know that if you dredge there  
4 will be resuspension. With all due  
5 respect to Doug, the United States  
6 Geological Survey found that resuspension  
7 of PCBs can be expected to occur in a  
8 range of 2.2 to 10 percent. The National  
9 Academy of Sciences report says that you  
10 can expect PCB resuspension to occur in  
11 dredging projects from .5 to 9 percent.  
12 You have assumed zero on this project.  
13 It's simply unsupportable. I would point  
14 out that your 1999 decision not to take  
15 interim action in the Thompson Island Pool  
16 you assumed there would be 2 percent  
17 resuspension. I think you should explain  
18 at some point tonight or on the record  
19 about that difference.

20 The point here is what's right  
21 for the river. The river is going achieve  
22 cleanup through source control and natural  
23 recovery. We know that. The EPA even  
24 agrees with that. We know that if source

1 control is not effective, EPA will never  
2 achieve any of the targets it has set in  
3 the Thompson Island Pool. We know that  
4 the remedy will destroy a hundred acres of  
5 subaquatic vegetation, wetland and  
6 shoreline. The risks to the community  
7 haven't been evaluated, the risk from  
8 siting the facilities haven't been  
9 evaluated.

10 The point here is there's a  
11 remedy that will work. There is a remedy  
12 that's extraordinarily problematic, and  
13 with resuspension could even make things  
14 worse. There are a lot of open and  
15 unanswered questions which after 11 years  
16 I have to suggest the agency should  
17 reevaluate it's proposal and should not  
18 propose dredging.

19 Thank you.

20 JOHN THIVIRAGE: My name is John  
21 Thivirage. My family has lived here on a  
22 farm for about 300 years and I'm on the  
23 west bank of the Hudson River. We're  
24 identified on the map as having a toxic

1 site right in front of the farm.

2 Actually, I just came to get  
3 some questions answered tonight. To start  
4 out with, I'd like the EPA to define what  
5 they term by bank to bank. I heard that  
6 numerous times in your literature. Are  
7 you talking about going out and looking at  
8 the river today, or as you go out and look  
9 at it in April, end of month when it's  
10 flooded out and a mile wide?

11 MR. CASPE: We'll answer that.  
12 Will you just ask all your questions?

13 JOHN THIVIRAGE: The flood  
14 plane, how is that going to be dealt with?  
15 How are you going to deal with on land  
16 contaminant sites? I believe Fort Hardy  
17 in Schuylerville is a good example of  
18 that. I haven't seen anything --  
19 everything that has been proposed and  
20 talked about is with regard to what is in  
21 the river.

22 You mentioned 38 pounds as a  
23 revised figure. Was that before or after  
24 you started running the barges up and down

1 the river and tearing it up.

2 I'm in zone three by what you  
3 guys talk about, so I'm going to be  
4 watching barges going up and down past me  
5 for probably five to eight years before  
6 you even get to the site I got before me.

7 Are you going to reassess the  
8 sites at periodic times and say, oh, look,  
9 we have a hot spot now because of the  
10 barges coming down the river on us? I  
11 pointed out to the gentleman at the table  
12 there that on your map here of the river  
13 you neglected to identify, between mile  
14 177 and 178 there was a sediment island  
15 not shown on that map, with the west  
16 branch of the river now filtered in on the  
17 north, I think you are treating a  
18 tributary into the river, and it's not.  
19 It's part of the river.

20 I can remember in the '70's  
21 going down to the river in that area, and  
22 seeing the contaminants in the river,  
23 large globs of white stuff floating down  
24 the river. I noticed the contamination in

1           there.

2                   You identified it, and DEC has  
3           identified it in a map that was issued  
4           yesterday. We're a hot zone, and it  
5           addresses not only the river, but most of  
6           the land on the sides, and in closing,  
7           whether you guys dredge or not, the fish  
8           are still going to be contaminated. I  
9           ain't going to eat them, but I don't smoke  
10          either. People have to use their own  
11          common sense what they are going to put in  
12          their mouth. (Applause.)

13                   MR. CASPE: Do you want to take  
14          a shot at all of them? I guess as to the  
15          land contaminants first, we have started  
16          it. We have addressed some of them.

17                   Some of you probably know we did  
18          a removal act, spent around two million  
19          dollars, actually on Rogers Island a year  
20          or so ago, where we found contamination on  
21          the shoreline, PCB contamination we had to  
22          deal with along the shoreline.

23                   We cleaned up some properties  
24          there. We built the bulkhead, and we also

1 stopped construction, we didn't say that  
2 actually, but we stopped construction of  
3 some of the redevelopment areas along the  
4 southeast side of Rogers Island, because  
5 the contamination there was high, and  
6 there was a proposed redevelopment there,  
7 and that redevelopment person, to my  
8 knowledge has stopped work. That has not  
9 proceeded.

10 We started to address it, and  
11 tried to get to where we found the risks  
12 to be the greatest. As far as bank to  
13 bank, how do you define it?

14 MR. TOMCHUK: Basically, from  
15 one side of the river to the other, taking  
16 up from one bank to the other.

17 JOHN THIVIRAGE: Yeah, but at  
18 what stage?

19 MR. TOMCHUK: At what stage?  
20 Basically, what we have been doing is  
21 about 7,000 CFS. I think the average mean  
22 flow within the river. It's not the  
23 highest --

24 JOHN THIVIRAGE: No. I'm

1 talking about when you go out and look at  
2 the river, go from bank to bank, okay?  
3 Are you talking about today, or when the  
4 river is at the highest?

5 MR. CASPE: No, it's the average  
6 mean flow, so it would be basically, what  
7 it is, on the average today.

8 JOHN THIVIRAGE: People want to  
9 know what areas you're looking at, what  
10 areas are going to be affected by what you  
11 do?

12 MR. CASPE: We can be clearer on  
13 that. That's a good point. I think I'm  
14 telling you that, but I'm not sure you are  
15 getting the answer from me.

16 JOHN THIVIRAGE: You are asking  
17 about a flow. Identify for me as the  
18 river sits here, what area are you talking  
19 about that will be affected?

20 MR. CASPE: Bank to bank; I hear  
21 you. We'll clarify that. I'm not sure  
22 how to clarify it right now. It's based  
23 upon a flow, and depending how much flow  
24 you have in the river, that's how wide

1           it's going to be. You're saying what does  
2           that look like on a map? Show me what  
3           it is. I hear you.

4                   MR. TOMCHUK: We have a map --  
5           you don't have a detailed map, I know  
6           that.

7                   JOHN THIVIRAGE: There are times  
8           when the river is flooded, Route four on  
9           the west, 113 on the east --

10                   MR. CASPE: That's not what  
11           we're talking about. That's not what  
12           we're talking about.

13                   We're talking about the average.  
14           We'll clarify that.

15                   JOHN THIVIRAGE: What about the  
16           parts that are going to be affected by the  
17           barge traffic?

18                   MR. CASPE: We try to -- we  
19           included every factor we could in that.  
20           We think that number is actually a  
21           conservative number, but I would point out  
22           that we don't necessarily agree with what  
23           the National Academy of Science is saying,  
24           and we don't agree with what USDS is

1 saying. We think we see flaws in both of  
2 those reports. We may be wrong, but in  
3 coming weeks I'll meet with the Academy of  
4 Science and try to understand.

5 MR. TOMCHUK: I think that barge  
6 traffic wasn't exclusively included in  
7 that calculation of 38 towns, but what  
8 happens is that the channel will be  
9 cleaned up first so that those areas will  
10 be removed -- those areas where we need  
11 the proper depth to transport the material  
12 down the channel, that will be removed  
13 first.

14 MR. CASPE: You have to remember  
15 that our proposal includes almost 320,000  
16 feet, or 340,000 cubic yards of  
17 navigational dredging to open the channel  
18 up.

19 JOHN THIVIRAGE: There's  
20 commercial barge traffic on the river too,  
21 so the barges will stir it up more.

22 MR. CASPE: We're going to  
23 dredge the river first.

24 JOHN THIVIRAGE: What is the

1 timetable for section three?

2 MR. CASPE: We're not at the  
3 design at this stage of the game. I guess  
4 we can talk privately to give you better  
5 information. There are other people here  
6 too.

7 The last question you raised was  
8 the 177, and 178. Do you know what that  
9 is?

10 MR. TOMCHUK: I'm not aware of  
11 the details of that. We'll check the map,  
12 and we'll look into that. I'm not sure  
13 whether from the average flow conditions  
14 whether we can plot much difference on  
15 that scale map. We'll look into it.  
16 We'll have to send somebody out in the  
17 field to look at that, I'm not sure, or  
18 aerial photos, but we'll look into that.

19 MR. CASPE: Other people who I  
20 called? Robert Greene?

21 ROBERT GREENE: I'm Robert  
22 Greene. I heard one comment tonight that  
23 makes me wonder. They speak of a high  
24 concentration in otters. Nobody ever said

1           they found a cancer in any of them. It  
2           makes you wonder.

3                     One other thing, that finally,  
4           in the last short time and tonight some  
5           numbers have come out. It's been reported  
6           that 1,300,000 pounds, or estimated that  
7           amount, has been dumped in the river. Yet  
8           you're proposing all this dredging for a  
9           hundred thousand pounds, half the amount  
10          they estimate from Hudson Falls down to  
11          the Troy damn.

12                    What about the rest of the  
13          river? Where did the other 1.2 million go  
14          to? It seems like a horrendous project  
15          for such a small percentage of what has  
16          happened, and where its all gone to, but  
17          let's put it another way. You're only  
18          proposing to get half of it out in the  
19          upper part of the river.

20                    Let's look at it in a different  
21          way, practical way. You have a big mud  
22          puddle in your driveway in front of your  
23          house. You buy a truckload of sand and  
24          dirt, dump it in. It half fills it. What

1 are you doing? You still got all this PCB  
2 in the river that is going to get into  
3 everything going and drawn down the river,  
4 and you're proposing half the amount?

5 Well, that's 250,000 pounds a  
6 year going over the dam at Troy, into the  
7 lower Hudson. It's like the old ostrich  
8 sticking his head in the sand, and it will  
9 all wind up in the Atlantic ocean, and  
10 then what happens to the fish down there  
11 when they all get contaminated.

12 I'm wondering if the EPA has a  
13 dictatorship that we've suddenly come in  
14 to, rather than the democracy which we're  
15 supposed to be living under, and it makes  
16 a person wonder where does this all go, in  
17 the sense of the health of people?

18 Well, there's comments now  
19 they're going to try to study some of the  
20 people who have been eating fish out of it  
21 for years. Why didn't they do that a long  
22 time ago, those that were fishing in river  
23 and using the fish and all that. Thank  
24 you.

1 MR. CASPE: I think it's  
2 important to understand that of the -- we  
3 don't have a good estimate of exactly what  
4 was released. You used a number of a  
5 million pounds, or 1.3 million pounds.

6 A lot of that was tied up in the  
7 upper river. A good portion of that was  
8 dredged out during navigational dredging  
9 for the Fort Edward dam.

10 There's approximately 200,000  
11 pounds of PCBs left in the upper Hudson.  
12 We're targeting at least half of those.  
13 How you calculate that number, it could be  
14 up to 67 percent.

15 Although the rest of it is in  
16 very low concentrations, relatively low  
17 concentration.

18 The area we're targeting are the  
19 areas that really are reaching the PCBs  
20 from the sediment and contributing to the  
21 water and getting into the fish.

22 We're targeting areas where the  
23 fish reside and feed, and areas that  
24 should the fish concentration areas the

1 most. That's why we used the targeting  
2 approach. Thank you.

3 BRAD CUSHING: I'm Brad Cushing.  
4 In reviewing the FS and the proposed plan  
5 and the documents that let up to it, I  
6 reviewed what we call the early action  
7 report of March, 1999. This is a report  
8 that was prepared by the EPA, looking at a  
9 dredging project in the Thompson Island  
10 pool, and whether such dredging project  
11 should be done on a quick interim basis,  
12 and in section five of that report, you  
13 did an environmental impact analysis.

14 What struck me in that is  
15 there's a resuspension analysis in that  
16 1999 report where you assumed a loss of  
17 2 percent of the dredged material and then  
18 you assigned the PCB value to that dredged  
19 material, and if I'm reading it right you  
20 came up with a PCB loss, you gave a range,  
21 but the mid-point of the range was about  
22 one to 1.2 pounds of PCBs a day that would  
23 be resuspended and lost by your early  
24 action dredging project, and if you did

1 the math, that would equate to 180 to  
2 200-pound of PCBs a year.

3 So my question is, what is the  
4 difference? Why are we taking 38 per year  
5 now, and in 1999 we seemed to be talking  
6 200-pounds per year?

7 MR. CASPE: Okay, I guess -- do  
8 you want to take that, or want me to?

9 Part of the answer to that is  
10 that was just what it sounded like. That  
11 was an early action report. We were  
12 trying to get ahead of ourselves.

13 We hadn't finished our analysis  
14 yet on the overall, on the Hudson River  
15 remediation project, and we were seeing  
16 what we could find out. You know, we made  
17 certain assumptions, and we decided in  
18 that case to be very conservative. We  
19 hadn't done our analysis yet.

20 We tried to -- we were looking  
21 at a quick snapshot of what might make  
22 sense, and what might not make sense, so  
23 we picked a very conservative number,  
24 frankly, a number that was much more

1 conservative, not that any number that we  
2 have now is wrong. The number we have now  
3 is right. That number was wrong, because  
4 we didn't have the facts that we now have  
5 in our minds, so that's how we came up  
6 with the number, and that's why it's  
7 different, and that's why we wound up not  
8 doing the early action.

9 We looked at the early action  
10 and we looked at everything else, and we  
11 really wanted to do an early action, made  
12 sense to do one, but we did feel the PCBs  
13 were moving around. We came to the  
14 conclusion that we just didn't know enough  
15 at that stage to jump ahead of the process  
16 and try to do it. We were not going to  
17 dredge just for the sake of dredging, and  
18 that's why we didn't do it.

19 BRAD CUSHING: In follow-up,  
20 could you --

21 MR. CASPE: No follow-up, I'm  
22 sorry. Your two minutes --

23 BRAD CUSHING: Then I have  
24 another question. Doug, you had indicated

1           you weren't necessarily in agreement with  
2           the Fox River, and that you've looked at  
3           other projects that you thought were more  
4           appropriate, and maybe that goes to your  
5           answer too, that since '99 you looked at  
6           some other projects. What projects are  
7           those? What have you learned since 1999  
8           that caused you to change your estimate?

9                       MR. CASPE: You can look at  
10           projects like Bedford Harbor, certainly,  
11           as an example.

12                      BRAD CUSHING: Did you look at  
13           that?

14                      MR. CASPE: Yes, that's one  
15           example. We looked at the work in the Fox  
16           River that's been done since that as well.  
17           I mean, there's a variety of different  
18           things we looked at.

19                      We also looked at the analyses  
20           again, that have been presented to us, and  
21           we think there are significant flaws in  
22           the analysis that USDS did, and we're  
23           going to discuss that with them, you know,  
24           to see whether we understand it the right

1 way, but we think there are significant  
2 problems in that report.

3 BRAD CUSHING: Will you be  
4 presenting those results publicly?

5 MR. CASPE: Those results will  
6 certainly be part of the public record on  
7 this site, yes.

8 MICHAEL BURNS: My name is  
9 Michael Burns. I live in Saratoga  
10 Springs.

11 Couple of anecdotal things. For  
12 a couple years I sold real estate in  
13 Saratoga County, and I got used to out of  
14 towners saying, please don't show us  
15 anything near the Hudson River, we don't  
16 want to live there. That's actually some  
17 of the folks who were afraid it was going  
18 to lower their property values. Forget  
19 that. Anything that gets the Hudson  
20 cleaned up helps the property values, in  
21 my opinion.

22 Secondly, working with children,  
23 which is something I've done for many  
24 years, I've seen kids on the bank of the

1 Hudson, reel in the fish and tell me it's  
2 okay if you soak them in salt water, and  
3 you can fry them up, and they taste real  
4 good, and that makes me feel sad.

5 You can't stop that kind of  
6 folklore. You can't stop that kind of  
7 ignorance, especially when there's a huge  
8 multicorporation spending millions to feed  
9 those kids lies and half-truths and  
10 distortions.

11 I have to say you folks are less  
12 than perfect, and so is your plan, but I  
13 support it strongly. I would suggest that  
14 if you do this in another area, hire a  
15 better ad agency, get some really scarey  
16 graphics, scarey video footage, and some  
17 really annoying sound track to go under  
18 your announcer and barrage the people with  
19 countless hours of oversimplified takes on  
20 your opinions, and maybe you'll have a  
21 better time.

22 This kind of electronic  
23 corporate terrorism is accepted by people  
24 who think that you, mid-level federal

1           bureaucrats are in it for the money. God  
2           bless America.

3                     Let's look at what GE executives  
4           make, and let's look at what they're  
5           spending, and let's wake up, people. This  
6           is about the health and safety of our  
7           kids.

8                     I've heard over and over about  
9           maybe not cancer. What about the proven  
10          effects of PCBs, that you know they are  
11          harmful to the ecology and to us?

12                    We're not just talking cancer  
13          here. In summation, I have to say there  
14          are a lot of scared people here tonight,  
15          and I feel sad for that, but we can't  
16          pretend that the train wreck hasn't  
17          happened, and accept that the river is  
18          cleaning itself.

19                    These people are lying, and  
20          you're trying to tell the truth, and as an  
21          American I respect that, and I thank you  
22          for doing your job. (Applause).

23                    JIM REAGAN: My name is Jim  
24          Reagan, R-E-A-G-A-N. I live in Ballston

1 Spa, New York.

2 I have to give a disclaimer  
3 here. I hope it doesn't take too much of  
4 my two minutes.

5 I work for the Department of  
6 Environmental Conservation, and I'm not  
7 assigned to this project, nor have I been  
8 assigned to this project, but I have been  
9 interested in it and have followed it from  
10 the first meeting in Saratoga.

11 I'm not speaking for the  
12 Department, or for anybody to the  
13 Department. I'm only speaking for myself.  
14 I also belong to a number of other  
15 organizations, but I'm not speaking for  
16 them either.

17 Like the gentleman before me, I  
18 just want to mention a little anecdotal  
19 information. I grew up in the early  
20 1950's, in the St. Lawrence valley about  
21 the same time they were putting the St.  
22 Lawrence Seaway through.

23 That was a very large  
24 construction project, much larger than

1           this dredging project would be, and it had  
2           some significant impact to it, and there  
3           were kind of a lot of mixed feelings from  
4           the people in the valley before they put  
5           the project through.

6                     The initial feeling was euphoria  
7           that it finally got passed through  
8           Congress, and they had been trying to get  
9           it through for thirty, forty years, and  
10          then people stopped and started to think a  
11          little bit, and said, well, there could be  
12          some negative implications to this thing,  
13          and there were some, but the freight train  
14          was rolling and the project went through,  
15          and they had five to seven years of very  
16          intense heavy construction, and they  
17          really changed the St. Lawrence River  
18          forever, dramatically, but looking back on  
19          it 45 years later, I think most people  
20          would admit the project was beneficial,  
21          including the environmentalists. That's  
22          one example. That's not saying,  
23          certainly, there weren't any impacts.

24                     Somebody else mentioned before

1 the Cumberland Bay dredging project which  
2 happened recently up in Plattsburgh.  
3 That's probably a better analogy.

4 Again, I was not directly  
5 involved with that project but talked  
6 extensively with the people at work. My  
7 understanding is that the impact on that  
8 were relatively benign, and there is a lot  
9 of scenarios people gave that didn't  
10 happen. I suggest that people might want  
11 to dialogue with them directly.

12 Couple other things, quickly.  
13 One lady got up earlier and suggested that  
14 she agreed with the proposal to dredge,  
15 but didn't think it was comprehensive  
16 enough, and I want to second her  
17 recommendation. I forget which lady it  
18 was.

19 Also, Mr. Ramsey talked a few  
20 moments before I did. I don't always  
21 agree with everything Mr. Ramsey says, but  
22 I do agree with two things he said  
23 tonight.

24 Number one, thank you for all

1 the people that came here and participated  
2 in the process, and in particular the  
3 people that were civil about doing it, and  
4 the other thing that Mr. Ramsey said, we  
5 need to address the source, and I agree  
6 with him completely with that, but the  
7 source is not only the Hudson Falls and  
8 Fort Edward plants. Thank you.

9 (Applause.)

10 MR. CASPE: Anybody else who  
11 I've called so far? I'll call the next  
12 15. (15 names were called). You can  
13 start.

14 UNKNOWN SPEAKER: I'm reading  
15 this on behalf of Doug Bessette this  
16 evening.

17 Good evening. My name is Doug  
18 Bessette. I live on the West River Road  
19 in Fort Edward, New York. I have lived  
20 there the majority of my life along this  
21 road.

22 Recently I had an idea. The  
23 recollection of MS infecting my neighbor,  
24 I decided to conduct a survey among my

1 friends and neighbors, their history,  
2 family. I traveled approximately seven  
3 miles on each side of the river and  
4 questioned every resident.

5 I interviewed 20 households.  
6 Many were long time residents. I was  
7 given health information on 127 people in  
8 these and other households. I knew of 27  
9 people who were dead or cancer victims.  
10 Not everyone afflicted with cancer had the  
11 same type of cancer. Not everyone who had  
12 divers cancers had cancer listed as the  
13 cause of death.

14 Six people had brain cancer. My  
15 conclusions, number one, PCBs are known to  
16 be harmful.

17 Two, PCBs flow down the river  
18 and get into the fishing.

19 Three, most people along the  
20 river drink (inaudible).

21 There was an amazingly high rate  
22 of cancer, including rare cancers among  
23 river residents. Even on my short trail  
24 down the river I encountered this tale of

1 misery, what I ask of my government, how  
2 many people have been and are yet to be  
3 suffering along the entire length of the  
4 populated Hudson River?

5 What has the EPA or New York  
6 State done to monitor the quality of river  
7 residents' drinking water? I'm not aware  
8 of any comprehensive program by any  
9 organization that is designed to protect  
10 river residents.

11 As the river residents die off  
12 or move away, their homes are filled with  
13 new people. Many of these new people  
14 include children. Eventually and sadly,  
15 these PCBs will find their way into the  
16 food chain. They will be redistributed by  
17 unknown and uncounted victims in  
18 cemeteries throughout the land.

19 The Hudson River is not a  
20 suitable place to store toxic chemicals.  
21 GE says the river is cleaning itself.  
22 PCBs do not break down to harmless  
23 substances once water is added. This  
24 claim is a mistake at best, and a lie at

1           worst.

2                   You decide which it is. The  
3 PCBs will be there doing insidious damage  
4 until they are removed. Thank you for  
5 your time. Doug Bessette. (Applause).

6                   ROGER GRAY: My name is Roger  
7 Gray. I grew up outside of Albany and  
8 spent a lot of time on the river, so I'm  
9 very concerned about the state of the  
10 river as a result of the EPA's plan.

11                   I've attended three hearings,  
12 and I want to commend the EPA on your  
13 responsiveness to the comments you've  
14 heard and changing your proposals as you  
15 digested those comments.

16                   I am very concerned that this  
17 recreational fishery has not reached its  
18 full potential. It is a tragedy that we  
19 can't eat fish from the Hudson.

20                   I really think that the Clean  
21 Water Act back in the '70's, cleaning the  
22 river, you can see the difference. When  
23 the Clean Water Act was passed, a few  
24 years after that the river began cleaning

1           itself. We need another government action  
2           like the Clean Water Act to finish the  
3           job, and I applaud your proposal. I think  
4           you should implement option five, which  
5           would clean more of the sediments than  
6           option four that you've selected.

7                     I would like to respond briefly  
8           to a comment. Living down river, I do  
9           believe that we share the burden of the  
10          cleanup, and I've spoken to government  
11          officials down there and I know that they  
12          are looking for a suitable site for a  
13          dewatering plant. We don't expect to dump  
14          the whole burden of the cleanup on the  
15          upper river residents. (Applause.)

16  
17                    STEWART BOWEN: My name is  
18          Stewart Bowen, Saratoga Springs area. I'm  
19          not against cleaning up the river. I'm  
20          just against the way it's going to be  
21          done.

22                    I think there's a lot of  
23          unanswered questions, and EPA needs to go  
24          back to the drawing board and square one,

1 and then come up with a better plan than  
2 what they got. Thank you. (Applause).

3 MAUREEN FERRARO DAVIS: My name  
4 is Maureen Ferraro Davis, and I live on  
5 the bank of the Hudson River in the Town  
6 of Schaghticoke.

7 Our soil samples taken from mine  
8 and my neighbors' both arrived and the  
9 both yielded unsafe levels of PCBs. The  
10 report that the DEC has just released has  
11 confirmed our worst fears.

12 It seems that every spring when  
13 the Hudson overflows its banks, mine and  
14 my neighbors' yards become more and more  
15 contaminated with the PCBs. Our children  
16 literally live outdoors in these yards  
17 from early spring to the late fall.

18 Peter Duncan, the Assistant DEC  
19 Commissioner has said that the major  
20 source of contamination is in the  
21 sediments. He also said if this  
22 contamination is eliminated, then the  
23 concentrations of PCBs along the shoreline  
24 will come down.

1 I support the EPA's position to  
2 remediate the Hudson. However, I would  
3 prefer alternative number five, removal of  
4 a greater amount of contaminants.

5 I just wanted to end by saying  
6 that I live in the affected area. I pay  
7 local, state and federal taxes in the  
8 affected area, and I would prefer five to  
9 seven years of some disruption, compared  
10 to many lifetimes, mine, my children, my  
11 grandchildren, etcetera, of continued  
12 contamination. Thank you. (Applause)..

13 PETE SHEEHAN: My name is Pete  
14 Sheehan. I'm a volunteer with the Sierra  
15 Club, and on behalf of the statewide  
16 Sierra Club Atlantic Chapter, and  
17 approximately 30,000 members, I would like  
18 to first commend the EPA to putting forth  
19 its proposed action requiring that the  
20 Hudson River be dredged of PCBs.

21 We do support the concept that  
22 General Electric, as a responsible party,  
23 under federal superfund law, should bear  
24 the cost of the preferred remedies, as

1 detailed by EPA.

2 Specifically, however, we  
3 believe as stated before by some of our  
4 members, that while the preferred remedy  
5 number four is a good start, we do prefer  
6 alternative number five, removal of  
7 155,000 pounds of PCBs.

8 Also, it was stated before, but  
9 it warrants mention again, the data  
10 released by the DEC should not be  
11 understated regarding PCBs, PCB levels, in  
12 terrestrial animals and soils on the  
13 banks, and inland clearly demonstrate that  
14 PCBs, while they are in the sediment, are  
15 being dispersed on shore. They are not  
16 being safely buried within the Hudson  
17 River.

18 Furthermore, the particular type  
19 of PCB, 1242, has been found on shore and  
20 is precisely the type that was used by  
21 General Electric in its two plants. If  
22 that is conclusive, we should have time  
23 for GE to come to the table and remove the  
24 PCBs from the Hudson River. This is the

1           only way in which to remove the constant  
2           threat PCBs washing up on shore each time  
3           there are floods and high water events.

4                   The insidious nature of PCB  
5           contamination gives the casual observer  
6           the message that all is right with nature  
7           all along the Hudson River, when the  
8           reality is that the Hudson River is a  
9           toxic dump with water flowing over it,  
10          quite frankly.

11                   The cunning and misleading  
12          nature of GE's advertising, is to distort  
13          the truth, and that the message left for  
14          the general public and our children is  
15          that pollution need not be cleaned up,  
16          that mother nature can always take care of  
17          itself.

18                   With some forms of pollution  
19          this might be true, however, with PCBs,  
20          which were designed not to break down  
21          naturally, this is false, which many  
22          scientists have proven beyond a shadow of  
23          a doubt.

24                   We must push for the remediation

1 of the PCBs once and for all for our  
2 families, and for future generations.  
3 Thank you. (Applause).  
4

5 MR. BROME: Hi, my name is Danny  
6 Brome. I'm from Saratoga Springs, New  
7 York. That's B-R-O-M-E.

8 I have just a couple of quick  
9 points to make about some things I have  
10 heard tonight.

11 One is that a lot of people have  
12 complained about -- they seem to call it  
13 an accusation that PCBs are associated  
14 with cancer. Well I have heard from the  
15 EPA speakers lots of facts that support  
16 the clear harm that PCBs can do to humans  
17 and other species. And even if there  
18 isn't a direct causation established  
19 between PCBs and cancer I would rather not  
20 take a chance on dealing with them. Also  
21 it took many, many years for tobacco  
22 companies to admit that cigarettes cause  
23 cancer in the face of overwhelming  
24 evidence. I wouldn't put that past GE

1           either.

2                   GE is arguing that their source  
3           control plan would be an effective remedy  
4           for dealing with the PCB problem. It  
5           seems to me if they hadn't put PCBs into  
6           the river -- well if they hadn't dumped  
7           them in in 25 years and they are still  
8           leaking in, that if they are claiming to  
9           be standing up for the environment, they  
10          would have done something about that  
11          source a long time ago. And clearly the  
12          amount leaking in has gone down, but there  
13          is still some going in, and that's not  
14          good.

15                   That's it. Thanks.

16                   MR. CRONKHITE: My name is John  
17          Cronkhite C-R-O-N-K-H-I-T-E, and I am up  
18          here to dispel a few myths.

19                   I was born on the banks of the  
20          Hudson River about the time Mr. Solomon  
21          was four-years-old. I swam in that river.  
22          I grew up on that river. I've eaten fish  
23          out of that river since I was old enough  
24          to chew. I still have all my hair. I'm

1 not covered with boils and sores, and I  
2 don't glow in the dark. All of my  
3 children are fine. I have a son who has  
4 asthma that he inherited from his mother.  
5 My grandchildren are fine.

6 You've had 50 years worth of  
7 reports that you could have got from GE  
8 (about people) who are directly exposed to  
9 these PCBs. I haven't heard anything done  
10 about it. Dr. Feingold from back in World  
11 War II, 1945, became the mill doctor for  
12 General Electric, had all those records.  
13 No cases of PCBs poisoning, no cases of  
14 PCB deaths. You haven't proved your case.  
15 Nobody has ever died from it, including  
16 me, but I have seen what the dredging has  
17 done.

18 My family owned the north end of  
19 what you call Roger's Island in Fort  
20 Edward. I saw the dredging the first time  
21 they did it. It was horrendous. They  
22 destroyed our property completely. Then  
23 they did it again here last time, I guess.  
24 Just shaking the dirt up some more. It's

1 not a very nice sight. I am very glad to  
2 see that the river has cleaned itself.  
3 Even my father remarked that it had  
4 cleaned itself up.

5 As I say, have been eating fish,  
6 and I love bullheads and guess where they  
7 hang around, in the mud. Right in the  
8 middle of all them PCBs. So I say, go  
9 check these records from General Electric,  
10 people who worked there, exposed more  
11 directly to these PCBs than even I ever  
12 would by eating the fish. I think you  
13 will find that they are not really that  
14 harmful. Especially dispelled in the  
15 trillions of sections that they are.  
16 Thank you.

17 MR. DAVIS: My name is Stephen  
18 Davis - S-T-E-P-H-E-N D-A-V-I-S. I am  
19 from Fort Edward.

20 I have a couple of questions. A  
21 lot of people have been very concerned  
22 about kind of like this all or nothing  
23 type of do-it-type project. And I was  
24 wondering if it would be possible to

1 design the project or scale it such that  
2 it would be, let's say, starting out small  
3 and if things don't work out right, to  
4 maybe redesign in the middle or even  
5 terminate the project? A lot of people  
6 have a feeling that you are just going to  
7 go ahead and do it from A to Z, with no  
8 stopping in between.

9 Another thing that's along the  
10 same line. There's a lot of people who  
11 don't understand how an engineering  
12 project is carried out. The EPA has a  
13 little bit different procedure than what  
14 normal engineering is like, and I think  
15 people need an explanation for the various  
16 phases of how it really goes. And I think  
17 that will allay a lot of the fears.

18 And I also think that it would  
19 be good at points in the future to have  
20 some more public meetings where the EPA  
21 can explain what is going on, what the  
22 designs entail, new things that they found  
23 out. Sort of like progress reports in the  
24 middle.

1                   And GE talks a lot about source  
2                   control. Well it seems to me the biggest  
3                   source is right in the Hudson. There  
4                   needs to be some control there.

5                   Lastly, I would like to know,  
6                   April 17th is supposed to be, like, the  
7                   "drop dead" date for public comment. I  
8                   was wondering if that's also going to be  
9                   the drop dead date for GE ads? Can you  
10                  promise on that one?

11                  Thank you.

12                  MR. CASPE: I guess I can  
13                  respond to a couple of comments. Not the  
14                  last one.

15                  We certainly plan on doing the  
16                  job -- it's going to take several years to  
17                  do. We predict five years, and during  
18                  those five years it's a constant step of  
19                  evaluating and reevaluating how we are  
20                  doing things and making sure we are doing  
21                  things the right way. And that, in fact,  
22                  we are doing good, not harm, which we  
23                  certainly believe we will. But to prove  
24                  that.

1                   As far as public participation  
2                   during the design and during the  
3                   construction, we would expect that during  
4                   the design we would continue much of the  
5                   same public participation program that we  
6                   have had throughout the RIFS for the last  
7                   nine years. We would plan on continuing  
8                   that same type of a process. There  
9                   certainly will be public involvement,  
10                  we'll have meetings, we will try to  
11                  address people's concerns, and make sure  
12                  people's concerns are fed into the design  
13                  process. So I wanted to respond to that.

14                  I know that, going back to the  
15                  previously commenter, I think we wanted to  
16                  say something.

17                  MS. OLSEN: With all due respect  
18                  to the gentleman who spoke previously.  
19                  EPA, and I'm stepping out on a limb, but  
20                  speaking also for the New York State  
21                  Department of Health, strongly recommend  
22                  following all of the fish consumption  
23                  advisories. These have been in place for  
24                  a number of years, and for the upper

1 Hudson from the Federal Dam at Troy up to  
2 Hudson Falls, the recommendation is to eat  
3 none.

4 For women of childbearing age  
5 who are a special sensitive population,  
6 children under the age of 15 for the  
7 entire 200 miles, again, eat none. And in  
8 the mid-Hudson and lower there are  
9 specific recommendations on fish species.

10 Again, these recommendations  
11 should be followed to protect public  
12 health. Thank you.

13 MR. CASPE: Okay. Any of the  
14 other cards -- anybody else from that  
15 group? Okay. Rather than call out the  
16 last 15 or so cards, those who filled out  
17 cards who have not yet spoken, if they  
18 come to the microphone and just speak in  
19 the order you get there. Don't run now.  
20 Thank you.

21 DR. VAN DELOO: Hello, my name  
22 is John Van Deloo - V-A-N D-E-L-O-O. I'm  
23 a family physician in Niskayuna, New York.  
24 I was originally born and raised in

1 Albany. I am an avid fisherman and  
2 environmentalist and spend lots of time on  
3 the Hudson fishing now that it's been  
4 opened up. It's very upsetting the  
5 massive amount of misinformation that GE  
6 has been spreading, and it's for 20 years  
7 almost about dumps, permits, fish levels,  
8 and the really important things have been  
9 let go. People question PCBs cause  
10 cancer. PCBs are outlawed by 122 nations.  
11 I think it was this year or the end of  
12 last year they signed an agreement that  
13 nobody will use them anymore because  
14 everybody is in agreement that they are  
15 dangerous. They are very toxic in many  
16 ways, they are very difficult to break  
17 down unless you remove the chloride  
18 molecule -- from the molecule. It's still  
19 toxic. And it stays throughout the  
20 environment. They have found it in the  
21 breast milk of Alaskan Eskimo women, and  
22 there's not PCBs dumped there. They got  
23 in the salmon and the whales and they ate  
24 them, and they move around.

1                   People talk about cleaning up  
2                   the river. Toxic things are invisible  
3                   most of the time. If we filled this room  
4                   with carbon monoxide we would all die, you  
5                   wouldn't see it. You don't see it, you  
6                   see the sewage and things that people put  
7                   in, which have toxins in them, but aren't  
8                   that toxic sometimes.

9                   And the real reason that GE is  
10                  opposing this is not so much the Hudson  
11                  River as it is they are responsible for  
12                  many other sites in the United States, and  
13                  they don't want to have to pay for those  
14                  sites. They don't want to get drawn into  
15                  these other sites. They are putting this  
16                  fight up here, and I think they have got a  
17                  lawsuit against the super fund law. And  
18                  it's going to go on and on, I'm sure, in  
19                  many other ways for a long, long time.

20                  And being a fisherman I have  
21                  been out and seen cutter dredging. They  
22                  do it in the Mohawk River all the time.  
23                  It's navigational, but we fish next to it  
24                  the next day, and we are catching small

1 mouth bass that are three, four pounds.

2 So I think there is many reasons  
3 we should move ahead and dredge as soon as  
4 possible. I would encourage your Proposal  
5 #5 to remove as much as possible.

6 Thank you.

7 MR. EGAN: Hi, I'm Tobias. This  
8 issue is pretty bad. We have got the  
9 media, local news media, and everything.  
10 It sickens me. I have been in Stillwater.  
11 I have been in the river. I don't really  
12 know what we should do, and that's why I'm  
13 not for dredging or against it. So I'm on  
14 the fence about this issue. But I do  
15 think that as far as economic  
16 reviver(sic), recovery in this area, we  
17 have an interstate called 87, and I think  
18 if we direct our attention to businesses,  
19 high tech businesses that the State of New  
20 York has talked about, I think that could  
21 be our new source of economic income. And  
22 as far as the issue with the river, I  
23 think we need more studies, and I think  
24 General Electric needs to stop dissuading

1 the public and running a media circus  
2 around us and getting the local news  
3 involved. This issue sickens me, it make  
4 me want to leave this state just because  
5 this is just so terrible. What it does to  
6 people. It's like an ugly cloud that  
7 hangs on our head. I don't want to point  
8 fingers at anyone. It's just this is our  
9 state, this is the Empire State, and this  
10 is an Empire State issue. Just like  
11 suburban sprawl meeting that I went to in  
12 Glens Falls, I talked to the guy out at  
13 Saratoga Springs. He voted against  
14 Queensbury sprawl, he voted against Wilton  
15 sprawl, and Clifton Park. But boy this  
16 issue is horrible. I don't know what the  
17 answer is, and that's what's so bad about  
18 it. I think the issue may be just to have  
19 faith in God, and just let it rest.

20 MR. ASPERTI: Hi, my name is  
21 Andy Asperti. This is probably my fourth  
22 or fifth public hearing I have been to.  
23 There's been a lot of rhetoric on both  
24 sides. I have done a lot of research

1           lately, and I found out one thing. The  
2           question came to mind: Why is GE putting  
3           all this money into just this effort here  
4           to stop us from cleaning up here?

5                   I have come up with, over the  
6           computer, the EPA, the DEC, lists of toxic  
7           dumps that GE is responsible for. Take in  
8           Georgia, they had one of our senators, Sam  
9           Nunn, was on the Board of Directors for  
10          GE. There's a gentleman right there. You  
11          start getting money, you have got  
12          politicians who are beholden to this  
13          company. This is ridiculous. We have the  
14          same thing in the area here. People who  
15          are beholden to GE's money.

16                   The thing is if we don't have  
17          this cleaned up now, and we knock this  
18          down, we are not going to have GE cleaning  
19          up any place. GE owes Fort Edward a  
20          million dollars for a water district which  
21          they never paid for. They contaminated  
22          wells. We cannot get any boats up our  
23          river anymore. We need navigational  
24          dredging. It's ridiculous. All because

1 of this money, brainwashing. They overdid  
2 it. I mean people know they over did it.  
3 So it we don't do something about it --  
4 thank God EPA and this is such a great  
5 country, we have a right to speak, both  
6 sides. I really applaud the effort that  
7 EPA has put into this.

8 All I have to say GE used to say  
9 to us, if you don't lower our assessments,  
10 we are going to move. Tell GE, please,  
11 one thing, before they move, take their  
12 garbage with them.

13 MR. VALLONE: Richard Vallone.  
14 I want to make just three points and I  
15 don't have any manner of prepared speech.

16 I worked on the Love Canal  
17 project in western New York. The cast of  
18 characters was different. That was an  
19 environmental nightmare that was created  
20 by the Hooker Chemical Company. The  
21 Hooker Chemical Company resisted, fought  
22 tooth and nail the EPA's effort and the  
23 New York State Attorney general's effort  
24 to clean that disaster up.

1                   You can spell the name  
2                   differently, but essentially you have the  
3                   same villain here only it's called GE  
4                   instead of Hooker Chemical.

5                   The fellow who spoke several  
6                   speakers ago up the aisle here really said  
7                   it best. If GE spent a tenth of what they  
8                   have spent on this very slick, Madison  
9                   Avenue media campaign that is an affront,  
10                  an affront to the intelligence of a  
11                  five-year-old, if they spent 10 percent of  
12                  that money on cleaning up the Hudson  
13                  River, I personally would be very  
14                  impressed.

15                  Point number 2: in 1971 I had  
16                  the pleasure of meeting Ralph Nader. He  
17                  was giving a public speech in western New  
18                  York in 1971. GE had been convicted in  
19                  federal court along with Westinghouse  
20                  Electric of conspiring to fix prices on  
21                  retail lighting fixtures sold to the  
22                  general public. Sadly, nothing has  
23                  changed. GE is the same unethical,  
24                  disreputable, dishonest, multinational

1 corporation in the year 2001 that they  
2 were in 1971.

3 I applaud the EPA for their  
4 tenacity, and for their engineering skill,  
5 and for their ability to really stick this  
6 out. You said earlier this is not a  
7 contest between GE and the EPA. I beg to  
8 differ with you. If it's not for people  
9 like the EPA, multinational corporations  
10 like GE are just going to continue to  
11 destroy the country.

12 Third point and I am over my  
13 time. I'm not clear on why people insist  
14 on shooting the messenger that brings them  
15 bad news.

16 MR. RUSSELL: My name is Dennis  
17 Russell. I'm from Lake George.  
18 Unfortunately, I'm a college student so  
19 this is the first meeting I have been able  
20 to attend. But I would just like to say  
21 there's this whole issue of the EPA versus  
22 GE, you know, it's like there's two  
23 separate sides. Environmentalists versus  
24 everyone else. I think everyone who has

1           been in this room tonight is an  
2           environmentalist. We all care about the  
3           environment. I do. I'm just not  
4           convinced that dredging is the way to deal  
5           with the PCBs.

6                       I was shocked by one of the  
7           examples given on the power point  
8           presentation earlier. The question of  
9           devegetation of the river and how fast  
10          will the river come back. We were told  
11          that since the river has constant moving  
12          water the sedimentation can't be compared  
13          to a lake. Yet you compared the  
14          revegetation of the river, of a moving  
15          river, to the revegetation of a still  
16          water wetland. If sedimentation is  
17          different in a moving river, the rate of  
18          revegetation in a moving river is going to  
19          be different than revegetation in still  
20          water. That just only makes sense.

21                      So, you know, that's all I have  
22           to say.

23                      MR. TOMCHUK: I would like to  
24           explain the graphic of the Marathon

1 Battery site. It was used as an example  
2 where EPA actually had, you know, taken  
3 out that material, a dredging project.  
4 And we went and reestablished and reseeded  
5 that area. And so it was a successful  
6 revegetation project. It was not meant to  
7 show any comparison to a moving water  
8 body. We did have some video footage at a  
9 previous meeting which was in a moving  
10 water body which showed growth with only,  
11 like, two or three years after a project.  
12 The comparison wasn't made there of that.

13 MR. RUSSELL: Oh, okay.

14 MR. TOMCHUK: Thanks.

15 MR. GARDNER: My name is Joe  
16 Gardner. I'm with the Appalachian  
17 Mountain Club and I live in Delmar, in the  
18 Town of Bethlehem on the Hudson River. We  
19 have the problem of your PCBs down there  
20 down river.

21 I just want to ask Stephen  
22 Ramsey and Jack Welch why they have to  
23 spend tens of millions of dollars to sell  
24 the public on the big lie of leaving the

1 PCB sediments in the 40 miles between Troy  
2 and Fort Edward. It's the big lie, big  
3 money. What the hell are you doing?  
4 You're doing it to us.

5 Well, anyway. You don't have to  
6 be naive to believe the false and  
7 misleading propaganda GE is spending  
8 millions of dollars to hoodwink the public  
9 for not dredging the Hudson River of PCBs,  
10 but it helps.

11 How else could people who live  
12 in the towns of Fort Edward, Kingsbury and  
13 Moreau side with GE when they allowed GE  
14 to fill 17 toxic waste dumps with PCBs in  
15 their own backyard?

16 Three: How else can GE say  
17 leave the PCBs buried in the sediments in  
18 the 40 mile stretch of the river between  
19 Troy and Fort Edward when a pound to a  
20 pound-and-a-half of PCBs from these  
21 sediments go over the Troy dam every day?

22 Four: How else can GE explain  
23 why out of 20 to 40 -- why women of 40 to  
24 50 years of age are cheated out of 20 to

1 40 years of life because they are dying of  
2 cancer every day according to obituaries  
3 in the Schenectady Gazette, the Albany  
4 Times Union and the Troy Record? That  
5 obituary says they either died of cancer  
6 or contribute to the American Cancer  
7 Society. Does PCBs cause cancer? We have  
8 got it in the Hudson Valley and we've got  
9 it down in Albany.

10 Just -- last issue, lastly a  
11 word to GE and Jack Welch. Do not mock  
12 the public with a quote, "The river is  
13 cleaning itself". It was our taxes under  
14 the Federal Clean Water Act that built the  
15 many sewage treatment plants that have  
16 cleaned the river, but nothing about the  
17 tons of PCBs still in the Hudson River.  
18 Thank you.

19 MR. CASPE: Thank you.

20 MR. MULVANEY: Good evening my  
21 name is George Mulvaney - M-U-L-V-A-N-E-Y.  
22 I am former Chairman of the EPA Citizens  
23 Committee in 1984 when Sierra Club also  
24 voted to oppose the dredging in the Hudson

1 River, until the next day when they were  
2 asked to change their vote.

3 In any case, one, PCBs, I  
4 believe, are dangerous. Two, I am  
5 incensed by the GE's advertising campaign  
6 that allows video to say that the Hudson  
7 River is acceptable for recreation. It  
8 allows them to say things that they  
9 couldn't do otherwise.

10 But my concern is, and the only  
11 reason I have waited this long, because I  
12 hate these meetings, is the Technical  
13 Paper #55 which was done in 1979. In that  
14 GE showed that aroclors 1016 and 1221, if  
15 mixed in water, volatize(sic) off into the  
16 air. A 100 percent of them within four  
17 days, 60 percent within the first 24  
18 hours.

19 If this dredging takes place,  
20 our area is going to be exposed to such a  
21 significant load of PCBs, particularly  
22 those people along the Hudson River, that  
23 there's no way that I can in good faith or  
24 anybody in this area should accept the

1 dredging project as a viable alternative.  
2 We just shouldn't do it.

3 In 1985 I was quoted for saying  
4 that -- I made a statement that people  
5 are, or the EPA cares more about the fish  
6 in the Hudson River than it does the  
7 people. Sixteen years later I'm afraid I  
8 have to say the same thing.

9 Thank you.

10 MR. TOMCHUK: Do you have a  
11 reference to that technical paper?

12 MR. MULVANEY: Absolutely.

13 MR. TOMCHUK: Okay. Thank you.

14 MR. MULVANEY: And here is  
15 copies of it for anybody that wants one.

16 MR. TOMCHUK: In general EPA  
17 does not -- we'll have to take a look at  
18 this information, but we have never seen  
19 any evidence of a 100 percent  
20 volatilization(sic) of PCBs out of water  
21 under undisturbed conditions. I don't  
22 know how you would strip it 100 percent  
23 off if you were trying in several days.  
24 So we will have to look at your

1 information.

2 MR. MULVANEY: You go outside,  
3 if this was a nice warm day, after it  
4 rained out along that field which used to  
5 be an air field, you can smell PCBs in the  
6 air. You can smell PCBs at Fort Miller.  
7 You can smell them as you go over the dam  
8 in Stillwater. As you approach any of  
9 these places, everybody should be aware  
10 it's happening now.

11 MR. CASPE: We will certainly  
12 look at that. Thank you.

13 MR. MULVANEY: Thank you.

14 MS. COFFEY: My name is Carol  
15 Coffey. I am a nurse.

16 One of the comments that seems  
17 to frequently come up is the argument that  
18 PCBs don't cause cancer, and there is no  
19 study. So just from a nurse's point of  
20 view, in order to prove that something  
21 causes cancer you would have to have two  
22 groups, one a control group and one you  
23 would feed PCBs to. I don't know of any  
24 humans that you would be able to do that

1 to, unless it was prisoners that wanted to  
2 volunteer. That's not really reasonable.  
3 I think you have to accept that, yes, it  
4 is a cancer causing agent. You would  
5 also have to have peer population with  
6 maybe Mormons or the Amish, and they are  
7 not going to be wild about that. So I  
8 think we have to go with, yes, it causes  
9 cancer and there's many other things that  
10 are negatives for the PCBs.

11 A lot of adversity here, a lot  
12 of, you know, distrust of the EPA,  
13 distrust of GE, but we have to come to  
14 some kind of a solution. I think we have  
15 to look at that this is a decision for the  
16 greater public good, not for this -- you  
17 know, there is going to be a price to pay,  
18 either an individual price for those that  
19 are living up in this area mostly along  
20 the Hudson. But that, you know, is it  
21 going to be a price also for not cleaning  
22 up.

23 Questions I had: If there was  
24 any method of containment, a lot of the

1 issue seems to be that the resuspended  
2 PCBs are going to be at a 10 to 20 time  
3 higher rate than what you guys were  
4 anticipating.

5 So I'm not an expert in  
6 engineering, but when they do an oil spill  
7 there's a material that they use to  
8 contain oil spills. Is there a way to  
9 bring that technology to the Hudson to be  
10 able to have more containment of the  
11 resuspended PCBs?

12 As far as the cleanup, you talk  
13 about commercial facilities. I don't know  
14 if you intend to use containment, burial,  
15 or if you can incinerate the PCBs. My  
16 brother is a chemical engineer. He said  
17 that you can incinerate PCBs. You can  
18 take all the dirt and incinerate it. It  
19 will then be clean dirt and, you know, I'm  
20 sure there's scrubbers and all kinds of  
21 technology to make sure that the smoke  
22 doesn't pollute. But what is the  
23 alternative you are looking at there?

24 I'm wondering, too, if the trash

1 plant that's useless up here, is that high  
2 enough temperatures to be able to use as  
3 an incinerative device for the soil? And  
4 that also would boost our economy.

5 Let's see -- I get nervous in  
6 front of microphones. The other thing  
7 that was just a thought. Again, I'm not  
8 an engineer, but resuspended PCBs, is  
9 there a way to put a filter system. You  
10 talk about the water going over the Troy  
11 dam, over various dams, is there a way to  
12 filter at the dam sites? So if you reduce  
13 this source and if reduced at the dam  
14 sites, would there be a way to avoid  
15 dredging? And if you do do the dredging,  
16 I think it would be a prudent idea to do  
17 it on a small scale first. Then you can  
18 look at what the results are, analyze it,  
19 and if you need to make changes, then make  
20 changes. It just seems that that's a  
21 scientific method rather than voting on  
22 all 40 miles at one time.

23 Thank you.

24 MR. CASPE: Thank you. We

1 wouldn't be dredging all 40 miles at the  
2 one time.

3 You asked a bunch of questions.  
4 I'm trying to go back and think: Silk  
5 screens which is, I think, the type of  
6 technology we're looking at, certainly as  
7 something that we plan on using.

8 Incinerator: Let me just say we  
9 are looking at the possibility of reuse of  
10 recycling the materials to see whether the  
11 material could, in fact, be used for  
12 something else in a useful way. As far as  
13 a siting of a local incinerator, it's  
14 something we have kind of ruled out. We  
15 didn't feel that was really a practical  
16 solution. It would be very costly. It  
17 also might not -- I mean, we ruled out  
18 a -- landfill incinerator very often is  
19 more difficult to site than a landfill.  
20 We ruled that out.

21 Is there anything else that I  
22 missed? I guess not for now.

23 MR. MARCHALAND: Lou Marchaland,  
24 Jr. Town of Easton. This proposed

1 dredging of yours is pretty inane. Your  
2 package that you're trying to force down  
3 our throats is half studied. If someone  
4 came up, and I wish these  
5 environmentalists, so-called  
6 environmentalists were still here, if any  
7 company came in with that proposal to  
8 dredge the river to pull a mineral out  
9 that they wanted to get, every  
10 environmentalist, I thought they were here  
11 in this meeting, and EPA would be so far  
12 against it they couldn't even get their  
13 heads above water. But you are going to  
14 shove it down our throats because that's  
15 what you want, and you are a  
16 self-procreating bureaucracy. If you  
17 don't find problems, they ain't got a use  
18 for you. So you make sure to find one.

19 These kids come in here and  
20 think they are saving the world from your  
21 garbage. I feel sorry for them.

22 MR. DI MOLA: Alfred Di Mola,  
23 Queensbury, New York. The only thing I  
24 can actually say intelligently at this

1 point in time based on the research, and  
2 looking at the web site and coming to the  
3 meetings, and listening to what's been  
4 said was that I have to go on record at  
5 this point to be opposed to dredging at  
6 the present time, but not completely  
7 opposed to dredging, period. But I feel  
8 there is enough questions still open that  
9 this project does need more research at  
10 this point.

11 I do live on the Hudson River,  
12 and I boat on the Hudson River. I don't  
13 eat any fish out of the Hudson River, but  
14 I would encourage the EPA at this point in  
15 time to at least study the situation a  
16 little further, and answer the maybe's,  
17 could be's, probably's, might be's and  
18 just get a little bit more firm on these  
19 questions that we have heard. I don't  
20 have to reiterate them all, we have been  
21 through them all tonight. Just look at  
22 the project just a little deeper before  
23 they make their final decision. And  
24 that's about as intelligently as I can

1 talk on the subject.

2 And I thank you for listening to  
3 us. Thank you.

4 MS. GERHARDT: Hi, I'm Joan  
5 Gerhardt - G-E-R-H-A-R-D-T, Saratoga  
6 Springs. Many of you know me to work with  
7 GE on the Hudson River project. That's  
8 work I'm extremely proud of, but tonight I  
9 speak as an individual and a resident of  
10 Saratoga Springs. I've sat through a lot  
11 of your meetings, and yet there is still  
12 so much you haven't explained to the  
13 public. First, how are PCBs from the hot  
14 spots which are buried at depth in the  
15 river bottom migrating against gravity  
16 toward the water when they are  
17 hydrophobic? We have heard your  
18 speculation about that, but you have no  
19 proof. You haven't proven the mechanism.  
20 Why? Because it's PCB in the surface  
21 sediments and the water not those in the  
22 buried hot spots that are getting into  
23 the fish. That's obvious. You fail to  
24 identify a group of fishermen that eat

1 large quantities of fish from the river.  
2 I don't doubt that some people eat some  
3 fish, but a thousand people eating eight  
4 ounces of fish from the upper Hudson,  
5 almost 52 weeks a year for 40 years? I  
6 don't think so. It's illegal to do that.

7 EPA has never analyzed what it's  
8 massive dredging program is going to do to  
9 the agricultural and tourism industries to  
10 the upper Hudson. That's my local  
11 economy. I don't agree that the PCBs have  
12 kept tourists from our area or have kept  
13 local farmers from selling their product,  
14 but you can bet a 15 year massive dredging  
15 program will. You don't know what this  
16 project is really going to do to the  
17 environment or the river's ecology.

18 I'm happy to hear Mr. Caspe  
19 "knows" the river will revegetate. He  
20 said that tonight. Where is the proof?  
21 How are you going to do it? How long will  
22 it take? I have no idea and neither do  
23 you.

24 Finally it was reported in the

1 Troy Record today that EPA acknowledged  
2 there is more risk associated with living  
3 near a 30 acre dewatering treatment  
4 facility than by living near the river if  
5 it isn't dredged. In a follow-up call I  
6 made to the Troy Council I found out you  
7 estimated the heightened risk to be 100  
8 fold. If you evaluated this risk, and I  
9 hope you have, you certainly haven't made  
10 it available to the public. The fact is I  
11 don't believe you. You have not proven  
12 your case. You don't know what the  
13 project is going to do to us, our  
14 communities or the river. You missed the  
15 mark, and I'm opposed.

16 MR. CASPE: Again, I would just  
17 respond to a couple of items. Again, we  
18 don't believe that -- our point is that  
19 our cores showed in 60 percent of the  
20 cores, the most contaminated portions of  
21 the sediment are in the top nine inches.

22 As far as fishermen, we don't  
23 have a population. DOH has a population,  
24 New York State DOH, and it was one in six

1 fishermen had at least one fish in their  
2 possession, and that was in the area where  
3 there's a ban.

4 As far as the issue of  
5 revegetation, we feel confident that -- I  
6 mean, you are going to want proof. We  
7 tried to show proof and whenever we try to  
8 show proof it isn't good enough. So we'll  
9 have to figure out ways of showing it a  
10 little bit better.

11 MS. GERHARDT: Give me an  
12 example of where it's been done.

13 MR. CASPE: Well we showed a  
14 video tape the last time we were up. The  
15 St. Lawrence River where it showed how it  
16 had revegetated in two to three years, I  
17 don't remember which one it was, after the  
18 dredging. We showed a slide -- excuse me?

19 MS. GERHARDT: There was one  
20 fish in that video.

21 MR. CASPE: The fish swim away  
22 from the divers. That's just the way it  
23 is. You know, the plants don't, we were  
24 showing plants, we showed some fish. We

1 think that was demonstrating. We tried to  
2 show you a picture of a wetland where we  
3 dug the wetland up and how it revegetated.  
4 We tried to show that. We feel confident  
5 that will work. Maybe we will have to  
6 prove it a little bit better.

7 The last point that you made on  
8 the risk of living near a dewatering  
9 facility. Do you know where that quote is  
10 coming from, Doug?

11 MR. TOMCHUK: I have not seen  
12 the quote from the record, but I did make  
13 a statement that living near a dewatering  
14 facility would present more risk than  
15 living along the river at this point.  
16 That makes total sense. But I did also  
17 add to that that both levels would be  
18 safe. And that's a big difference in what  
19 you implied from that. Increased risk,  
20 I'm talking in an absolute term. I'm  
21 saying it still would be a 100 times less  
22 than the level that would present a risk.  
23 So basically --

24 UNKNOWN SPEAKER: It's still 100

1 times --

2 MR. CASPE: Anybody else who  
3 wanted to speak?

4 MR. GREEN: I just thought of  
5 one other quick detail.

6 MR. CASPE: Could you just say  
7 who you are, please?

8 MR. GREEN: Robert Green. If  
9 General Electric has disposed of waste of  
10 a million pounds of this, how much have  
11 they used in their products that are now  
12 all over the world and going into all the  
13 water supplies and everything else in  
14 small amounts every where? That's a  
15 detail nobody has even brought up in any  
16 of these hearings.

17 MR. CASPE: Okay.

18 UNKNOWN SPEAKER: (Unknown  
19 Speaker) Who is paying for the \$460  
20 million?

21 MR. CASPE: I have a gentlemen  
22 up here at the mike. If you want to come  
23 on up, we'll hear you.

24 MR. GUTHIEL: I'm Harry Guthiel,

1 Town of Moreau Supervisor. I understand,  
2 and I didn't speak earlier because I had  
3 an opportunity to speak in Hudson Falls,  
4 the Town of Moreau will submit written  
5 comments by the 17th. I understand  
6 earlier within the last week or so, one of  
7 the meetings, it was stated that Moreau  
8 was still being considered as one of the  
9 dewatering facility sites. Is that true?  
10 And who is doing the considering?

11 MR. CASPE: We are not doing any  
12 active considering. Nothing has been  
13 taken off the table at this stage of the  
14 game because there are several sites that  
15 are possibles. That doesn't mean -- we  
16 are not going to ram anything down  
17 anybody's throat as far as a site like  
18 that. Is it still being considered? It  
19 hasn't been taken off the table at this  
20 stage of the game, that's correct.

21 MR. GUTHIEL: Can you tell us  
22 what sites are on the table?

23 MR. CASPE: We gave a listing, I  
24 believe, of 12 sites throughout the area.

1           Those 12 sites, plus whatever else we  
2           might locate, are still on the table.

3                   MR. GUTHIEL: When did you plan  
4           on reaching out and communicating with the  
5           community?

6                   MR. CASPE: After a Record of  
7           Decision is signed and we are, in fact,  
8           proceeding in trying to implement this  
9           plan. At that stage of the game we will  
10          actually try to implement -- we'll start  
11          reaching out to communities. So it would  
12          be some time next -- if we proceed in  
13          August, then it would be some time next  
14          fall that we might start the process of  
15          contacting communities.

16                   MR. GUTHIEL: But certainly  
17          after the comment period and certainly you  
18          wouldn't have done an environmental  
19          assessment, risk assessment for the  
20          communities at that point?

21                   MR. CASPE: No, we wouldn't  
22          have.

23                   MR. GUTHIEL: Do you feel any  
24          moral obligation to live up to NEPA?

1 MR. CASPE: Do I feel a moral  
2 obligation?

3 MR. GUTHIEL: Yes.

4 MR. CASPE: We certainly will  
5 make sure that anything that's done is  
6 environmentally acceptable. We will  
7 follow a process, through our process that  
8 will insure us of that, and that will, I  
9 think, solve our concerns with regard to  
10 the environment.

11 MR. GUTHIEL: Exactly how do you  
12 plan on having the communication and  
13 dialogue with the communities where you  
14 are going to site a facility?

15 MR. CASPE: I don't know yet. I  
16 presume we will reach out to people and  
17 start out informal. How it will move from  
18 there, we will see. And if we have a  
19 sense the community isn't interested, then  
20 we will proceed, and we will proceed to  
21 other places.

22 MR. GUTHIEL: In other words, if  
23 a community is not interested then you are  
24 going to eliminate that community?

1 MR. CASPE: If a community -- we  
2 are not -- our intent is not to ram  
3 anything down anybody's throat. That's  
4 right.

5 MR. GUTHIEL: Thank you.

6 MR. CASPE: There was a  
7 gentleman back there who had --

8 UNKNOWN SPEAKER: Where is the  
9 money coming from? \$460 million.

10 MR. CASPE: God only knows. At  
11 this stage of the game we haven't  
12 determined that. The way super fund is  
13 constructed, we obviously will first look  
14 at the responsible party to see if they  
15 would be willing to implement a remedy.  
16 If they are not willing to implement a  
17 remedy, normally we would try to find the  
18 money elsewhere.

19 Well I thank you all for your  
20 patience and your energy and your time and  
21 it's been great. Thank you.

22

23

24

C E R T I F I C A T I O N

We, SANDRA L. CAMPOLI and HOWARD LEVINE,  
Shorthand Reporters and Notary Publics in and for  
the State of New York, do hereby CERTIFY that we  
recorded stenographically the foregoing testimony  
taken at the time and place herein stated, and the  
proceeding testimony is a true and accurate  
transcript hereof to the best of our knowledge and  
belief.

SANDRA L. CAMPOLI

  
HOWARD LEVINE