

ORIGINAL

1
2 UNITED STATES
3 ENVIRONMENTAL PROTECTION AGENCY

4 PUBLIC HEARING
5 HUDSON RIVER PCBs SUPERFUND SITE
6 NEW YORK
7 PROPOSED PLAN

8 City Center
9 Saratoga Springs, New York
10 Tuesday, December 12, 2000
11 7:00 p.m.

12 PANEL MEMBERS

13 RICH CASPE
14 ANN RYCHLENSKI
15 WILLIAM MCCABE
16 MEL HAUPTMAN
17 DOUG TOMCHUK
18 ALISON HESS
19 MARIAN OLSEN
20 DOUG FISCHER, ESQ.

1 MS. RYCHLENSKI: Good evening.
2 I'd like to call the meeting to order.

3 Hi, thanks for coming out this
4 evening. My name is Ann Rychlenski and I'm
5 community Relations Coordinator for the Hudson
6 River PCB project for USEPA.

7 And, as all of you know, that's why
8 you're here, this is the meeting on the
9 proposed plan for the clean up of the Hudson
10 River PCB site.

11 What I'm going to go through is a
12 few grounds rules and just introduce the
13 people that are here.

14 Before I go onto anything else, is
15 there anyone here who needs a sign language
16 interpreter?

17 (No response.)

18 MS. RYCHLENSKI: Okay.

19 Let me introduce the people here on
20 the dais.

21 To my left is Mr. Richard Caspe.
22 He's the head of Super Fund. He's a Director
23 of the Emergency and Remedial Response
24 Division at EPA. He's going to be talking to

1 you tonight about the proposed plan itself.

2 And then sitting over next to him
3 is Mel Hauptman. He's the team leader at EPA
4 on contaminated sediment sites.

5 And then sitting next to him is
6 Mr. Bill McCabe. And Bill McCabe is a Deputy
7 Division Director in Super Fund.

8 To my immediate right, Doug
9 Tomchuk. Doug is Project Manager on the
10 Hudson River PCB site. He's going to be
11 talking to you tonight a little bit about the
12 investigations that we did and what we found
13 out that lead us to this point.

14 Next to him is Alison Hess. She's
15 also a Project Manager at EPA. And she's
16 going to talk a little bit about the
17 feasibility study.

18 Next to her is Marian Olsen. She's
19 an environmental scientist at EPA, and she
20 does much of our human health risk work.

21 Right down there at the end is Doug
22 Fischer. And he's our counsel, he's our
23 attorney on the site from EPA.

24 I just want to talk to you a little

1 bit about how we're going to do things here
2 tonight.

3 The purpose of this meeting is to
4 present our proposed plan, to take public
5 comment. So how we're going to do that is by
6 having people come up to the microphones here.

7 Now, those of you who want to give
8 verbal comment can do that by filling out
9 small index card like this, so of you already
10 have. If some of you have not, please do so.
11 That's the only way you're going to get up
12 here. We're going to call you up by fives and
13 sixes to come up to the microphones and give
14 your comments or questions.

15 There is some EPA people here.
16 Would you please identify yourselves, those on
17 the floor? Raise your hands. Okay. We've
18 got Bonnie Bellow over here and we've got Nina
19 back there. If you want, what you can do is
20 you can fill out a card as the meeting
21 progresses and get it to them, and they can
22 get it to me so that you can come up here and
23 give your comment.

24 Now, everybody's going to be

1 limited to two minutes to give that comment or
2 question. Down here are some ladies that will
3 have some signs. When the sign is green,
4 that's the go ahead. When it gets yellow, you
5 know that you're going to have to speed it up.
6 And when they show the red sign, you're
7 allotted time is over. Just like at the
8 traffic circle. Okay? Everybody gets treated
9 the same.

10 Public comment is important to us.
11 We have a stenographer here tonight who will
12 take down your questions and comments. When
13 you get to the microphone, would you please
14 speak your name clearly and also spell it so
15 that stenographer can get a clear record of
16 this evening's proceedings.

17 Public comment on this particular
18 site of this proposed plan will be taken until
19 February 16th. You're not limited to
20 commenting only here at the meeting. You can
21 send your comments in. Send them in by
22 February 16th to Doug or to Alison at EPA.

23 In addition, I want to let you know
24 that there will be other meetings in the

1 Hudson Valley after this one and the one at
2 Poughkeepsie this Thursday night. We will be
3 back up in this area and other areas of the
4 Hudson Valley in January to speak with you
5 again and to take more comment.

6 Before we turn this over to Rich
7 and he starts talking about the proposed plan,
8 I do want to acknowledge that there are some
9 people here who are representatives, elected
10 representatives, who do want to come up and
11 share their thoughts with us. And we will
12 knowledge them and have them come up to the
13 microphones before we open the public portion.

14 I want to recognize Congressman
15 Maurice Hinchey, who will be coming up to the
16 mike; also Peter Lehner, who is representing
17 the Attorney General, Eliot Spitzer; and also
18 Assemblyman Robert G. Prentiss is also here.

19 I guess that's about it. So I'm
20 going to turn this over to Rich Caspe.

21 And have a good evening.

22 MR. CASPE: Good evening.

23 As Ann said, we're here tonight to
24 present EPA's remedy for dealing with the

1 Hudson River PCB site. It's been 10 years in
2 the making.

3 What we like to do, normally we
4 would give a long presentation, two-hour
5 presentation, when we present a proposed plan.
6 There's a lot of people here tonight and I'm
7 sure -- we know there's a lot of people who
8 want to speak. So we're going to try to
9 abbreviate it a little bit tonight. We're
10 going to try to cover a lot of ground in
11 around 45 minutes. We'll present some
12 information, we'll then open it up, obviously,
13 for questions and comments. And, as Ann said,
14 just keep in mind this is the first of many
15 meetings. There will be plenty of
16 opportunities as the 60 days run on for you to
17 read what we've put out and, you know,
18 understand, you know, a little bit more
19 perhaps what we're thinking and at the same
20 time for us to understand a little bit more
21 about what you're thinking.

22 We've put an enormous amount of
23 material out today and this week. We'll have,
24 I think, the feasibility study for this site,

1 as an example, is 4,000 pages. It will be on
2 the website this week. The proposed plan is
3 only 31 pages. It's a boiled-down version. I
4 strongly recommend you read that one first.

5 But, again, this is a time to share
6 opinions, understand the facts, and for all
7 parties here to try to listen to each other
8 and understand where they're coming from.

9 So after a 10-year study, where are
10 we? I'd like to recap what we know, what the
11 study has given us.

12 We know that PCB is a serious
13 health threat. We know that over one million
14 pounds of PCBs were discharged into the Hudson
15 River. We know that PCBs don't go away in the
16 environment, that they're long lived. We know
17 that there's unacceptable fish contamination
18 in the Hudson River, and we know that when we
19 look into Thompson Island Pool that the fish
20 numbers are over a hundred times what we
21 believe would be an acceptable number. We
22 know that people are eating the fish, despite
23 the eat none advisories. The latest 1996
24 study that was done by the Department of

1 Health found that one in six people that they
2 interviewed, that they saw, had, were in
3 possession of fish, and one in 10, roughly,
4 were in possession of more than one fish. We
5 know that birds and animals, obviously, are
6 eating the fish as well. We know that the
7 water column, PCBs, the PCBs in the water, as
8 they move over the Thompson Island Pool, which
9 I'll get to in a minute, which is the
10 uppermost stretch of the 40 mile stretch that
11 we studied, we know that they increase
12 significantly as the water flows over those
13 sediments. Over three times the PCB numbers
14 increase from where they, from what they are
15 when they start. We know that there's an
16 upstream source as well at the GE Hudson Falls
17 facility that requires control in order to
18 allow the river to restore itself. We know
19 that fish contamination is nearly stable, that
20 despite significant improvements since the
21 '70s, that the last seven years really shows
22 that the fish contamination levels in the
23 Thompson Island Pools are basically stable.
24 We know that PCBs are not uniformly buried.

1 We know that, while the river may be net
2 depositional, that overall the river may be,
3 there may be some deposition, that when you
4 look from place to place within that river,
5 that the river is a very dynamic system, that
6 PCBs are coming out of the sediment, they're
7 moving around and redepositing themselves
8 either above the Thompson Island Dam or moving
9 down river. We know that the contamination,
10 that the majority of contamination is in the
11 top nine inches of the sediment. We know that
12 over 500 pounds a year are flowing over the
13 Troy Dam into the lower river. And we know
14 that we have good science behind this
15 information. We've done six peer reviews on
16 our six major reports by five peer review
17 panels, all independent, that have been
18 brought in, that were totally unbiased, at a
19 cost to EPA at over a half a million dollars.
20 And we know that they, for most part, accepted
21 our science and, where they had some problem,
22 we've made corrections.

23 So where has all this led us?

24 Well, while we know that the

1 situation we have is unacceptable, we don't
2 have a simple solution. We used a variety of
3 tools to try to come up with something that
4 made sense. We looked at the actual what --
5 we looked at the actual geochemistry, as we
6 call it. We looked at what's really happening
7 in the water column from sampling, what's
8 really happening in the sediment from the
9 sampling. We looked at the fish. We looked
10 at the sampling data from the fish, what's
11 really happening in the fish, the fish going
12 up and down, what's happening. And we
13 developed a complex math model, a mathematical
14 model, which brought a lot of these factors
15 into play and that tries to predict what
16 happens to the river if you do what.

17 We think using all these things
18 we've come up with a sensible, practical,
19 common sense approach. And now I'd like to go
20 into what the remedy is. And I'd like you to
21 focus on these maps that we put up earlier.

22 If you look at that, there are
23 three sections to the upper Hudson River.
24 There's a six-mile stretch between the

1 Thompson Island Pools and, basically, Rogers
2 Island. It's the uppermost stretch. The
3 second stretch of the river we looked at was
4 from the Thompson Island Dam down to the dam
5 at Northumberland. That was five miles,
6 roughly. And then the third section, the
7 largest section, was 29 miles long and ran
8 from the Northumberland Dam to the Federal Dam
9 at Troy.

10 What we did is we looked at these
11 sections, because these sections are very
12 different, and we tried to come up with a
13 remedy that made some sense where it was
14 customized to each of these sections.

15 If you can now just put on the
16 remedy slide, please.

17 What we came up with was targeted
18 dredging. And what the targeted dredging was
19 is removal of the little over 2.6 billion
20 cubic yards of material. Hundred thousand
21 pounds of PCBs in that material. Around \$460
22 million in present work costs.

23 As we came up with that, we
24 targeted that still further. We looked at

1 the -- if you can go to the next set of
2 slides -- looking at the -- what these are are
3 those sections of the river now in a little
4 bit more detail. It red shows, if you look,
5 the way it's running is you have Fort Edward
6 up on the upper left, it runs, the river runs
7 down the first side on the left and then it
8 continues on the right. So you're looking at
9 roughly 12 miles of river here, if you would.
10 The red shows where we believe dredging should
11 be accomplished. And the blue, or white,
12 depending on where you're looking at it from,
13 are the areas where we would not be doing
14 anything to the river.

15 As you can see, in the Thompson
16 Island Pool, the area where we have the
17 greatest impact on fish, we found that we had
18 to do a lot of dredging. You can see a lot of
19 red in that first, in that first area between
20 Rogers Island and the Thompson Island Dam, one
21 and a half million cubic yards within that
22 six-mile stretch. You know, pretty intensive
23 dredging in that area.

24 But if you look at the second

1 stretch, you see a lot less red, only around a
2 half a million cubic yards, and large
3 stretches of the river that would not be
4 disturbed at all.

5 If you look at next slides, moving
6 on, the next two, moving at that last 29 miles
7 of the river, you see that there is very, very
8 little dredging actually that's occurring,
9 roughly a half a million cubic yards and only
10 a few hot spots.

11 We did the dredging for different
12 reasons. In the first, in the first stretch,
13 we looked at the Thompson Island Pool. What
14 really was governing what we were looking at
15 was the impact on fish. You know, that area
16 certainly had the greatest impact, and that's
17 what governed largely where we were dredging.

18 When we moved, looked into the
19 second section, it was a combination of
20 factors. We had some large masses of PCBs
21 there as well as we had considerable impact on
22 fish as well.

23 When you moved into the third area,
24 in fact, we did didn't look -- fish issues

1 weren't that great. What the issues were here
2 is we had hot spots that clearly showed that
3 there was some scour, we saw signs of scour,
4 erosion, in some of those hot spots, so he
5 selected areas there for removal that we
6 believed otherwise were continuing to erode
7 and continuing to move with the river
8 downstream, downstream and sideways, I guess,
9 as it mixes around.

10 So we looked at those different
11 things.

12 And what all of this really shows,
13 if you go to the last slide, I guess, what it
14 really shows is that the impacted area, the
15 river, 40 miles of river, and it's a pretty
16 big river, so there's 3900 acres of river
17 bottom within this 40-mile stretch. Of those
18 3900 acres, we are recommending that we would
19 dredge around five, a little under 500 acres
20 of it. That's around 13 percent of the area.
21 That's why we call it targeted. It's far from
22 what some people characterize as bank-to-bank
23 dredging. Certainly not for 40 miles, not for
24 six miles, and not for five miles referring to

1 any of the three stretches.

2 There are places where we have
3 contamination from bank to bank. Where we
4 have that contamination from bank to bank,
5 that's what we'll have to do. There are other
6 areas where we have only little, we have
7 relatively smaller, small places, where we'll
8 do that, and other places where we have
9 nothing.

10 I would just say that within the
11 2.6 million cubic yards, the other thing,
12 around 300,000 cubic yards of that actually is
13 not contamination. In order for us to move
14 barges and do the work we have to do, two
15 things have to -- we want to assure ourselves
16 of two things: We want to assure ourselves
17 that we don't close the river to navigation at
18 any time and we want to assure that we can
19 move our barges as well. So we're actually
20 planning on dredging a little over 300,000
21 cubic yards of the river for navigational
22 purposes, to allow all barges to move and to
23 allow people to move around our equipment as
24 we're moving. That's when we talk about

1 targeted that's why the remedy is referred to
2 as what it is.

3 We are proposing no local landfill.
4 And that is largely is a result of community
5 opposition. We've heard you, we've tried to
6 accommodate that. All of the, all of the
7 dredge material would be water, which I'll
8 come back to, and then shipped by rail to
9 facilities outside of the Hudson Valley.

10 Now, people say, "Well, where is
11 that going?" For costing purposes, we used
12 Texas for the hazardous material and Buffalo
13 for the non-hazardous material. I just
14 wouldn't underline that that's for costing
15 purposes. And you have to understand
16 something, that when you're dealing with rail
17 transport, once you put something in a rail
18 car, it doesn't cost that much more to go a
19 little bit further. So just so you understand
20 that. And, certainly, we're not looking at
21 anything in the Hudson Valley.

22 Dewatering facilities. We will
23 need dewatering facilities. There will be
24 probably two of them. We need one in north

1 and we need one in the south. The operation,
2 while the operation is going on, these
3 facilities will have to be operated. They are
4 around 15 acres we would expect them to be
5 each, up to 15 acres, depending on what type
6 of dredges we used and how we set the
7 operation up. And would be cited on
8 commercial property. We have looked, we
9 believe there are commercial sites that would
10 not require taking of any farmland or anything
11 else for putting this. We can put one,
12 basically, in the area of the Port of Albany.
13 And the other was somewhere slightly north of
14 the Moreau Landfills.

15 And rail transport, I mentioned
16 that.

17 Five-year construction. We've
18 heard a lot of different things about how long
19 it takes to do something. We believe we can
20 do this job in five years. We can get in, we
21 can get the job done, we can get it out.
22 People refer to previous dredging jobs. They
23 take a 50,000 cubic yard dredging job and they
24 say, "Well, if that took a year and this is 10

1 times or 20 times, whatever, bigger, then this
2 is going to take 20 times longer." That's not
3 the way things are. And I think you all know
4 that, when somebody builds, builds a housing
5 development or something like that, doesn't
6 take them 20 times longer to build 20 houses
7 as it takes them to build one house. This
8 would be scaled up. We would be operating
9 with multiple dredges. They would be
10 environmental dredges. And I underline that,
11 environmental dredges. They will not be your
12 children's Tonka toys. They won't look like
13 that. They won't be the dredges that you've
14 seen pulling mud out, dripping things from all
15 different sides. These are dredges that have,
16 they have positioning systems built into them,
17 they have video cameras built into them. We
18 would have real-time monitoring going on at
19 the same time the dredging will go on to
20 insure that we didn't have sediment
21 contamination of any significant leaving the
22 site. So we think this can going and it can
23 be done readily.

24 So where are we going from here?

1 Well, we have a public comment
2 period, and we're expecting that by June, our
3 hope is that by June we would finalize the
4 remedy. We would then have a three-year
5 design, where a lot of the details, exactly
6 how all of this would be done, would be then
7 laid out, you know, in great detail, the way
8 you normally do in an engineering design. And
9 then after that three-year design, we would
10 expect to have a five-year construction
11 schedule, where we would be in and out within
12 five years.

13 That's largely the remedy that I'd
14 like to cover. I'd now like to turn it over
15 for a little bit more detail to two RPMs for
16 the site. RPMs being remedial project
17 managers.

18 And first Doug is going to talk
19 about the remedial -- go a little bit more
20 into why remediation is necessary. And then
21 Alison will go into a few more details on what
22 the actual remediation will be.

23 Thank you.

24 DOUG TOMCHUK: Thank you.

1 The first thing I'm going to cover
2 tonight is why we believe active remediation
3 is necessary, why our preferred alternative
4 has that in there. The first area that we
5 looked at was water column transport of PCBs.
6 Basically, we found that PCBs are transported
7 currently in the water column and that PCB's
8 in the sediments are the primary source of
9 PCBs into the river. So sediment is
10 contributing PCBs that are stored in it into
11 the water. Basically as had Rich mentioned
12 before when PCBs cross the area of Roger's
13 Island, the upper boundary of Section 1, they
14 have a fairly low concentration, which is
15 attributed to numerous sources above there.
16 And then they pass over that river section
17 which is called the Thompson Island pool, and
18 the PCB levels increase. This increase is
19 about 1-1.5 pounds per day and it comes from
20 the sediment. Okay. That's about a three to
21 four - factor of three to four increase as the
22 PCBs cross that load. That load contributes
23 to the PCBs that we find throughout the Hudson
24 all the way -- throughout the whole fresh

1 water Hudson which is all the way, at least,
2 down to Kingston for a 100 river miles.
3 That's the primary source of PCBs to the
4 river.

5 This graphic shows the PCBs coming
6 in at Roger's Island. That's in the yellow
7 put. It's split up by the type of PCBs called
8 homologs there and it shows a pattern which is
9 used to identify the sources in certain
10 aspects of this. And then the light blue bars
11 are the PCBs as they come out at the Thompson
12 Island Dam. Basically you see an increase in
13 concentration. You also see a shift in
14 pattern which enables us to identify them as
15 similar to the ones that are in the sediments
16 and make the statement that they do come from
17 the sediments as well. There are no other
18 sources in this region. They have to come
19 from the sediments.

20 So we have PCBs that come out of
21 the sediments. Well there are different
22 processes that occur and -- that could help
23 deplete this over time. So that if the river
24 was to clean itself there are certain

1 processes. I will cover two of them tonight
2 which are two of the ones we have heard about
3 the most. The first one is PCB
4 dechlorination, the natural break down of
5 PCBs, if you would, or stripping off of
6 chlorine molecules making less of them and
7 some people claim less toxic. That's not
8 EPA's position. Okay. Sediment PCB
9 inventories will not be naturally remediated
10 by dechlorination. Our investigation showed
11 us that we got less than a 10% mass loss over
12 time, and basically that is controlled by the
13 concentration, not the amount of time. It's
14 not just a matter of waiting another 10, 20 or
15 30 years. That the concentration in the
16 sediment controls it. So it's not -- the
17 dechlorination occurs quickly, and then the
18 rates drop down to negligible rates. Another
19 way that PCBs could be naturally -- the system
20 could be naturally remediated is burial so the
21 PCBs would be isolated from the water column
22 and from the biota. We have found that the
23 upper Hudson River is a dynamic system and
24 natural sedimentation will not solve the

1 problem. But we do see burial at some
2 locations. It is not deposition, we do see
3 burial, but we do see evidence of erosion at
4 other locations. We also find high
5 concentrations still at the surface. We have
6 had concentrations as high as 600 parts per
7 million in some areas, but more than that 60%
8 of the cores that we took in our sampling
9 event in 1994 we found that 60% of those cores
10 had the highest PCB concentration within the
11 top nine inches. So these are clearly not
12 getting deeply buried and out of the system.
13 So therefore we see that at many locations the
14 PCBs remain available to fish. And that's a
15 real important point here. The PCBs are
16 available to fish, and they will remain
17 available to fish.

18 This graph here shows some of the
19 trends in PCB fish data. We see on the bottom
20 we have the year, the dots are the average
21 concentrations. This is on a lipid basis
22 which is the way you should be looking at
23 trends. That's dividing by the fat content.
24 And basically we see an overall decline in

1 concentrations from the mid-80s until 1999
2 which is on the end, and that's a good thing.
3 The only problem is that the last five years
4 there it's basically flat. The decline hasn't
5 really continued. We do not see a decline in
6 recent data trends. And this is important
7 because -- next slide.

8 The concentrations you see here are
9 from 1999: Large mouth bass and brown
10 bullhead data in Thompson Island pool and at
11 Stillwater and we see that the average
12 concentrations are well above the risk base
13 levels. So PCBs in fish still exceed all of
14 our acceptable levels.

15 In assessing the problem here we do
16 what's called the risk assessment, and we have
17 looked at various pathways of exposure. But
18 the one that really we have focused on as you
19 can probably tell from our discussions here
20 already are contamination to fish because
21 consumption of fish is the root of exposure
22 that causes the most risk. And our risk
23 assessments have found unacceptable human
24 health and ecological risks. Eating fish is

1 the primary -- as I said eating fish is the
2 primary exposure pathway and we have found
3 that cancer is a thousand times greater than
4 our goal for protection. To people that are
5 involved in this it's 1 x 10 to the 3rd.
6 That's where the combined consumption where a
7 young child, adolescent and adult. For
8 non-cancer hazards we are over hundred times
9 the acceptable level for a young child and
10 sixty five times the acceptable level for an
11 adult. Non-cancer health effects can be
12 things such as low birth weight, learning
13 problems and immune system problems, inability
14 to fight infection.

15 We have also done ecological risk
16 assessments and found unacceptable levels to
17 animals that eat fish, and that would be
18 animals such as the river otter, mink and bald
19 eagle.

20 So basically we have a problem with
21 the sediment. We do not see that going away;
22 PCBs remain available to the biode of the fish
23 and can be consumed by humans and other
24 receptors. So Alison will now discuss some of

1 the -- basically that's the reason that we
2 believe in remediation, active remediation is
3 appropriate, and Alison will now discuss how
4 we -- the process that we use to try to
5 determine the right remediation process to
6 select.

7 ALISON HESS: Thank you, Rich.

8 I would like to share with you the
9 process the EPA went through in order to
10 arrive at our preferred alternative. We did
11 what's known as a feasibility study. As Rich
12 mentioned, this is summarized in our proposed
13 plan. It's a six volume study. It is
14 available in the information repositories and
15 should be available on our website shortly.
16 In the feasibility study we evaluate options
17 for PCB contaminated sediment in the upper
18 Hudson River in order to protect human health
19 and the environment for the entire nearly 200
20 miles of this superfund site.

21 Next slide, please. The objectives
22 of our study included reducing cancer risks
23 and non-cancer hazards for people eating fish
24 by reducing concentrations of PCBs in fish.

1 Also we wanted to reduce risks to ecological
2 receptors by reducing the concentration of
3 PCBs in fish. For the river water we wanted
4 to lower concentrations of PCBs in the river
5 water that are above environmental standards.
6 These standards come from other environmental
7 laws such as the Clean Water Act and Safe
8 Drinking Water Act. And we also wanted to
9 minimize the downstream transport of PCBs such
10 as the PCBs that are going over the federal
11 dam at Troy into the lower Hudson. Within the
12 sediments themselves we wanted to reduce PCBs
13 that are or may be bio-available. In order to
14 accomplish these objectives we looked at
15 various types of action. The first box shows
16 some passive actions including: No action;
17 monitored natural attenuation, which are
18 naturally occurring processes; and
19 institutional controls such as the fish
20 consumption advisories and the fishing
21 restrictions like the current catch and
22 release program. We also looked at active
23 alternatives: Containment or capping was one,
24 and removal or environmental dredging is

1 another. We looked at different treatment
2 technologies, we looked at institute treatment
3 technologies, which are treatment technologies
4 whereby the PCB contaminated sediment would be
5 treated in place. We did not find any
6 technologies that were capable of doing this
7 in the Hudson River. We also looked at extra
8 two treatment technologies where the PCB
9 contaminated sediments would be removed from
10 the river and then treated. We looked at some
11 beneficial use options. These are options
12 where PCB contaminated sediments might be
13 treated in order to create some commercially
14 viable product such as cement or architectural
15 tiles. We looked at different modes of
16 transportation that would be available, and
17 finally we considered various disposal
18 options.

19 The criteria for evaluation are
20 standard criteria that are used at all
21 superfund sites. We have nine criteria that
22 we use and the two most important are called
23 the threshold factors. And these are overall
24 protection of human health and the environment

1 and compliance with other laws. Next we have
2 five primary balancing criteria that you see
3 there, and two modifying criteria. And we are
4 here tonight as part of the community
5 acceptance criterion to take public comment at
6 this meeting, other meetings, and, of course,
7 in written comments as well.

8 Next slide, please. To go the no
9 action alternative includes no institutional
10 controls. So there would be -- this
11 alternative is no fish consumption advisories
12 and no fishing restrictions. And it also does
13 not include any upstream source control at the
14 GE Hudson Falls plant. This alternative is
15 required by superfund law, but EPA did not
16 identify this as it's preferred alternative
17 because it's not protective of human health
18 and the environment. Again, a threshold
19 criterion.

20 We also looked at monitored natural
21 attenuation. These are the naturally
22 occurring processes such as dechlorination and
23 burial that Doug mentioned. This alternative
24 includes institutional controls such as the

1 fish consumption advisories and the fishing
2 restrictions. It also includes monitoring of
3 fish, sediment, water and air. It assumes the
4 upstream source control at the GE Hudson Falls
5 plant, and the cost for this alternative is
6 \$39 million without the upstream source
7 control. EPA did not identify this as it's
8 preferred alternative because it's not
9 adequately protective, and we found that the
10 river was not cleaning itself up naturally.
11 And to come to that decision we used both the
12 results of our computer modeling as well as
13 the data that we have collected and others
14 have collected including the fish data. And
15 we also note that the institutional controls
16 are not protective of the ecological
17 receptors. The birds and the fish and the
18 mammals do not meet consumption advisories
19 signs.

20 Next we looked at a capping
21 alternative. And this would be an engineered
22 cap everywhere except in the target areas,
23 except for the navigational channel, and we
24 knew we wanted to minimize any changes in flow

1 to the river. So before we would place a cap,
2 we would have to remove sediment. So this
3 alternative includes substantial dredging that
4 would be required to implement the alternative
5 and allow the normal flow of traffic in the
6 river. It also includes monitored natural
7 attenuation and assumes the source control
8 near the GE Hudson Falls plant. The cost for
9 this alternative is \$370 million. EPA did not
10 identify this as it's preferred alternative
11 because it's not a sufficiently permanent
12 remedy. Over the long term the permanence of
13 the cap is quite uncertain, and this remedy
14 also has the difficulties of both capping and
15 dredging. And we would have to maintain the
16 cap, essentially, forever.

17 Lastly, we did look at the dredging
18 alternative. We considered both mechanical
19 and hydraulic environmental dredging equipment
20 with the appropriate controls to limit
21 resuspension. We wanted to do this project in
22 the short term and that's factored into the
23 two dredging alternatives that we looked at.
24 We would perform, as Rich mentioned,

1 additional dredging in the channels to
2 implement our alternative and also to allow
3 the normal flow of river traffic. It included
4 monitored natural attenuation until acceptable
5 levels are obtained, and also assumed the
6 source control at the GE Hudson Falls plant.
7 This remedy -- these remedies are protective
8 of human health and the environment because
9 they involve the permanent removal of PCB
10 contaminated sediments from the river and
11 thereby result in reductions in concentrations
12 of PCBs in fish.

13 The next slide shows a comparison
14 of the two dredging alternatives that we
15 considered. Number 1 is the preferred
16 alternative that EPA has identified and Number
17 2 is a more extensive dredging alternative
18 that we considered. You can see that there --
19 our preferred alternative has just under
20 500 acres of area that would be targeted while
21 the more extensive remedy is significantly
22 larger at just under a thousand acres.

23 Similarly the total volume removed
24 in EPA's preferred alternative is

1 2.65 million cubic yards compared to 3.8
2 million cubic yards with more extensive
3 dredging. Our alternative would remove over
4 100,000 pounds of PCBs compared to somewhat
5 more than 150,000 pounds and much more
6 extensive dredging. And the cost also of the
7 EPA preferred alternative is \$460 million
8 compared to the more expensive remedy at \$570
9 million.

10 Next slide, please. So to sum up,
11 this is EPA's preferred alternative. It's
12 targeted dredging, 2.65 million cubic yards
13 containing over 100,000 pounds of PCBs using
14 environmental dredging techniques to minimize
15 any adverse environmental effects. It also
16 includes stabilization at temporary facilities
17 and transport by rail. It includes an
18 off-site landfill and institutional controls
19 which could be relaxed as the conditions
20 improve in the river. It also includes
21 monitored natural attenuation of the residual
22 PCBs remaining in the river until we reach
23 acceptable levels in the fish. And, lastly,
24 it assumes the upstream source control at the

1 GE Hudson Falls plant.

2 Three aspects of this preferred
3 alternative reflect the community concerns
4 that we have heard already. Number 1, there
5 is no local landfill; no new landfill; no
6 existing landfill in the Hudson River Valley.
7 Number 2, there would be additional dredging
8 as necessary to accommodate the normal flow of
9 traffic in the river. And, lastly, it
10 includes a short time for dredging. We have a
11 five year dredging program that we are
12 proposing using multiple dredges so we would
13 only be in any one location for a short time.

14 Now there's three main reasons that
15 we selected this remedy as our preferred
16 alternative. It will reduce concentrations of
17 PCBs in fish so that the fish consumption
18 advisories could be relaxed from the current
19 eating advisory in the upper Hudson River.
20 And it would also offer protection to both the
21 ecological receptors as well as humans who
22 continue to eat the fish despite the
23 consumption advisories. It would also reduce
24 the PCBs going over the federal dam by about

1 40%. The preferred alternative is protective,
2 it's permanent, and, lastly, it's cost
3 effective, and for these reasons EPA has
4 identified it as it's preferred alternative.

5 Thank you.

6 MR. CASPE: I'd like to call
7 Representative Morris Hinchey to a microphone.

8 REP. HINCHEY: Well, thank you
9 very much.

10 First of all, let me introduce
11 myself. I'm Morris Hinchey. I'm a member of
12 the House of Representatives, I represent the
13 26th Congressional District in New York, which
14 in the Hudson Valley consists of the County of
15 Ulster and parts of the County of Orange and
16 Dutchess. That extends westward almost to
17 Elmira. But it is the Dutchess, it is the
18 Hudson Valley counties, of course, that are
19 most affected by this particular condition,
20 and that is why I am here this evening.

21 I've been in the House of
22 Representatives for eight years, but prior to
23 that I was a member of the State Legislature.
24 And for 14 years in the State Legislature, I

1 chaired the State Assembly's Committee on
2 Environmental Conservation. And while doing
3 so, the Committee that I chaired uncovered and
4 investigated the very famous Love Canal toxic
5 dump site. It was really the first toxic dump
6 site in America to gain any attention. And it
7 was that particular site which led to the
8 creation of the Federal Super Fund and the New
9 York State Super Fund, which were created at
10 approximately the same time. And these super
11 funds were created, of course, to deal with
12 problems of neglected toxic and hazardous
13 waste dump sites, such as the one that is the
14 subject of attention here this evening, and
15 particularly this particular report.

16 The Hudson River is the largest
17 hazardous waste site in the country. It is
18 some approximately 97 miles long. And it is a
19 hazardous waste site as a result of the fact
20 that PCBs were deposited in it by the General
21 Electric Company from a period of time in the
22 mid-1940s until the mid-1970s.

23 I just mention that in order to
24 establish my depth of understanding of this

1 particular situation.

2 As a result of my experiences, I've
3 come into contact with consequences of
4 environmental contamination as a result of
5 toxic and hazardous wastes and I'm very
6 familiar also with the effects of toxic and
7 hazardous wastes on animal life, including
8 human beings.

9 So, first of all, let me express my
10 appreciation to the Environmental Protection
11 Agency for the very extensive, indeed, one
12 might say comprehensive work, that has been
13 done to develop this plan to address this very
14 serious problem in the Hudson River. I think
15 that the EPA has done a terrific job. I want
16 to congratulate all of you ladies and
17 gentlemen who are here this evening and all
18 the others who have been associated with this
19 work and with the development of this report.

20 (Applause.)

21 I think you have done the Hudson
22 Valley, the State of New York and, indeed, the
23 entire nation a great service. The work that
24 you've produced here is, in a way, pioneering.

1 Not in the sense that we haven't had hazardous
2 waste before, but in the sense that we have
3 never had one of this size and of this
4 complexity. And the work that you have done
5 in producing this report will, I believe, lead
6 to the eventual cleaning of the Hudson River,
7 but it will also be used to advance that
8 effort in a great many other places across the
9 nation. So the work that you're doing here
10 tonight is of service to us here in the Hudson
11 Valley but it is also a great service to the
12 country at large. And I think all of us very
13 much appreciate that.

14 The presence of PCBs in the Hudson
15 River is one of -- is a situation obviously,
16 of long standing. We have known about PCBs.
17 They've been manufactured since, oh, I guess
18 the mid-1920s by Monsanto, and they were put
19 into the Hudson River beginning at a time
20 roughly at the close of the second World War,
21 up until about 1977. Your study has revealed
22 that there are approximately 1.3 million --
23 what is it tons?

24 MR. TOMCHUK: Pounds

1 MS. HESS: Pounds.

2 REP. HINCHEY: -- pounds, 1.3
3 million pounds of PCBs in the Hudson River
4 that need to be addressed.

5 It is my belief that the only way
6 to do that is by following the recommendations
7 that you've established in your report, and
8 that is taking the PCBs out of the river.
9 Reliance upon so-called natural remediation or
10 some evolutionary process that would take
11 place through nature over time is, obviously,
12 something that is trimerical, it would never
13 happen. It's a false hope. It's a figment of
14 the imagination.

15 The PCBs are manufactured to be
16 very resilient and to last a long, long time,
17 and they will do so in any environment,
18 particularly a stable, relatively stable
19 environment, such as the bottom of a river.
20 So they will be there fore a long, long time.
21 But they gradually escape from those hot
22 spots, as we have seen, and they migrate down
23 river. They continue to do so under normal
24 circumstances, but if you have unusual

1 circumstances, such as periodic floods, which,
2 of course, we have in the Hudson River, then
3 larger quantities of the PCBs will migrate
4 down the Hudson River and larger quantities
5 will find their way into the natural
6 environment, into the aquatic life of the
7 river and into the food chain and eventually
8 into the bodies of human beings.

9 PCBs are already in human beings.
10 All of us bear some body burden of PCBs as a
11 result of their presence in the environment,
12 but the people that live along the Hudson
13 River, particularly those who have eaten fish
14 from the river.

15 Now, I know that we have a warning
16 in New York State which stipulates that people
17 should not eat the fish from the river, but we
18 have warnings against a great many things and
19 people violate those warnings. They do so for
20 various reasons. Some people violate them,
21 even in the upper river, because they depend
22 upon the fish in the river for protein. There
23 are people who fish the river and who eat the
24 fish on a fairly regular basis in spite of the

1 fact that it is dangerous to them and in spite
2 of the warning. Those people, of course, are
3 the ones at greatest danger.

4 And the amount of money that is
5 being involved here, when you begin to
6 translate that into human lives, you begin to
7 see that it is a very small sum indeed.

8 It's also true that other people
9 come into contact with the fish, in some cases
10 unknowingly. In restaurants or in other
11 venues, where they may be eating striped bass
12 or something, a fish of that nature. So fish
13 are being -- fish from the Hudson River are,
14 in fact, being consumed and they are making
15 their way into the bodies of human beings.
16 And, as we know, these PCBs bioaccumulate, as
17 you pointed out in your study. I believe what
18 that means, it's a fancy word for saying that,
19 as one larger animal eats a smaller animal and
20 so forth up the food chain, that they
21 concentrate in the fatty tissues of the larger
22 animals. And as human beings, who are at the
23 head of the food chain, the PCBs are most
24 heavily contaminated in people who eat fish

1 from the river, as they are most heavily
2 contaminated, most heavily accumulated,
3 rather, and contaminated, too, in the fish
4 that we are likely to eat, such as large mouth
5 bass or striped bass or other fish.

6 So, consequently, we see that in
7 that way these, this situation is, in fact,
8 very dangerous. But the PCBs also contaminate
9 the environment-at-large, and, in effect, they
10 have destroyed the Hudson River fishery. We
11 had in the Hudson River a marvelous fishery at
12 one time. The Hudson River is one of the most
13 productive estuaries on the planet. And
14 estuaries, along with tropical ecosystems, are
15 one of the most productive ecosystems anywhere
16 that one might find. And so the availability
17 of protein in the river that we are being shut
18 off from is extensive. And it would be
19 wonderful at some point to think that people
20 could eat fish from the Hudson River again and
21 do so in a very safe way.

22 Furthermore, we know from very
23 extensive scientific studies that the PCBs,
24 not only are probable carcinogens, but they

1 are also destructive of the immune system,
2 they are also injurious to young people,
3 particularly, they cause learning
4 disabilities, and a whole host of other health
5 problems.

6 So, for these reasons and for a
7 host of others, I, again, express my
8 appreciation to the EPA for the length of time
9 that you have put into this study and for the
10 fruits that that effort is bearing in the
11 study itself.

12 I know over the course of the last
13 eight years in the Congress we have seen a
14 number of attempts to impede your effort and
15 to prevent this study from coming forward.

16 (Applause.)

17 We have seen attempts by members of
18 the Congress to attach environmental riders to
19 appropriations bills to prevent the study from
20 taking place and for making it impossible to
21 be carried forward.

22 That was a foolish --

23 (Shouts from members of the
24 audience.)

1 REP. HINCHEY: That was a foolish
2 effort and it has come to no avail because
3 your study has been completed and we now have
4 the benefit of it.

5 I would prefer if we would approach
6 this in the most comprehensive way and do
7 everything that we can to insure all of the
8 PCBs in the upper river are removed. And I
9 hope that that sentiment will be expressed by
10 others during the course of this six-month
11 public hearing process.

12 MR. CASPE: Thank you,
13 Congressman. Thank you.

14 REP. HINCHEY: Finally, finally,
15 let me say that this is, in fact, a public
16 health problem. And the public health problem
17 is most concentrated north of the Federal Dam
18 in Troy, and those communities that are in the
19 upper river, those are the people who stand to
20 gain the worse effect of the presence of these
21 PCBs, and they are the ones who will be most
22 helped by the removal of the PCBs from the
23 river.

24 Thanks very much for the work that

1 you've done.

2 REP. HINCHEY: Thank you.

3 MR. CASPE: Thank you,
4 Congressman.

5 The next speaker is Mr. Peter
6 Lehner representing State Attorney General
7 Elliot Spitzer.

8 PETER LEHNER: Thank you.

9 I'm Peter Lehner - L-E-H-N-E-R and
10 I'm the Chief of the Environmental Protection
11 Bureau of the office of the New York State
12 Attorney General Elliot Spitzer. The Attorney
13 General's office strongly supports EPA's
14 decision to dredge sediments from the most
15 contaminated areas of the Hudson River. Fish
16 throughout the Hudson River from Hudson Falls
17 to the Battery are contaminated with PCBs.
18 Wild life is contaminated. Humans are exposed
19 and are also contaminated with PCBs. It is
20 time to address that problem. We applaud EPA
21 administrator Carol Branner and the staff of
22 EPA Region 2 for the care and thoroughness
23 they exhibited in reaching this conclusion.
24 And we applaud DEC Commissioner John Cahill

1 and his staff for the time and effort they
2 have expended in studying the river and
3 reviewing EPA's proposal. Congress made the
4 decision 20 years ago, and has repeatedly
5 reaffirmed it since then that there's a
6 compelling need to clean up toxic waste sites.
7 Companies responsible for the contaminants
8 must clean them up preferably by removing
9 them.

10 The Hudson River after decades of
11 study is long due for a clean up. Based on
12 the extensive evidence of the record and EPA's
13 and the State's technical and scientific
14 review of that evidence four points are clear
15 and should be indisputable: (1) PCBs cause
16 harm to humans and wild life. That harm
17 includes immune, reproductive, nervous, and
18 endocrine system injury as well as cancer.
19 (2) PCBs in the river sediments are available
20 to fish and other animals and from there can
21 be ingested by humans. We know it's fact that
22 people are still eating contaminated fish from
23 the Hudson River. (3) The river is not
24 cleaning itself. While the river is cleaner

1 now than it was thirty years ago that is
2 largely because the state has expended
3 tremendous resources to reduce sewage and
4 other industrial discharges. The PCB levels
5 in the fish have decreased only marginally in
6 the over 20 years since GE stopped using PCBs
7 at the Hudson Falls and Fort Edward plants.
8 Over the last seven years they have remained
9 essentially stable. Unless the PCBs are
10 removed from the river fish will remain
11 contaminated. (4) Dredging the hot spots in
12 the river will remove large quantities of PCBs
13 and will lead to major improvements in the
14 river. This remedy will dramatically reduce
15 human health risks and will cut almost in half
16 the flow of PCBs to the lower Hudson River.
17 These long term benefits far outweigh the
18 limited short term impact that may result. In
19 addition, we believe that based on the long
20 existing law it is fair and legal to require
21 GE to clean up it's PCBs from the Hudson
22 River.

23 GE's discharges were not, contrary
24 to the common perception, always legal. And

1 in any event for 20 years companies big and
2 small around the state and around the country
3 have cleaned up their toxic discharges under
4 the federal superfund program and state
5 equivalent whether they are legally discharged
6 or not. There is no reason to treat GE
7 differently. Indeed to tax -- indeed to tax
8 payers who will have to pay for the clean up
9 if GE does not, to those towns and industries
10 who have done their share to clean the Hudson
11 River, and to New Yorkers who long for a
12 cleaner Hudson, fairness demands that GE
13 remove it's toxic waste from the Hudson River.
14 We save the river by cleaning it, not by
15 leaving it polluted. We have some copies of
16 our full statement to make available to you
17 and I think we will have some out in back.

18 Thank you very much.

19 MR. CASPE: The next speaker is
20 Assemblyman Robert Prentiss.

21 ASSEMBLYMAN PRENTISS: Thank you
22 very much.

23 I'm Assemblyman Bob Prentiss,
24 P-R-E-N-T-I-S-S. I represent the 107TH

1 Assembly district, which comprises the towns
2 of Clifton Park, Malta, and Stillwater, in
3 Southern Saratoga County, and also the Town of
4 Colonie, in Albany County.

5 Well, I listened, I'm still
6 skeptical. There are too many unanswered
7 questions and I am unconvinced.

8 (Applause.)

9 I'm opposed to the dredging plan as
10 presented tonight to remove PCBs in the upper
11 Hudson River. And I join with United States
12 Congressman John Sweeney and with New York
13 State Senate Majority Leader Joe Bruno in
14 requesting that the United States
15 Environmental Protection Agency concentrate
16 its efforts in supporting the current ongoing
17 clean-up program.

18 I believe that large-scale dredging
19 of the upper Hudson River is not the proper
20 remedy. We have all seen the vast improvement
21 of the upper Hudson River over the last 20
22 years, and I am concerned that the
23 unprecedented complexity and magnitude of this
24 plan as proposed tonight presents many

1 unknowns. It is possible that dredging will
2 reverse the clean up that has already been
3 taking place over the past 20 years through
4 natural processes.

5 Nearly 60 communities along the
6 Hudson River, including Clifton Park, Malta,
7 and Stillwater, which I represent, as well as
8 Saratoga County, have unanimously -- these are
9 your local elected officials in 60 different
10 communities -- have unanimously passed
11 resolutions in opposition to dredging because
12 of the negative impacts it would have on the
13 Hudson River, on the economy, and living
14 conditions here in the Capital Region.

15 In addition to the communities
16 along the Hudson that are opposed to dredging,
17 major national environmental groups have also
18 criticized the procedure of dredging that has
19 taken place elsewhere in the United States in
20 waterways. These groups know that, if the EPA
21 carries out its pledge to dredge, that
22 wildlife habitat and wetlands will be
23 destroyed. A better alternative is to
24 continue the ongoing, on-shore clean up of

1 PCBs, which is a program that is approved by
2 the New York State Department of Environmental
3 Conservation and the EPA.

4 Hundreds and hundreds of
5 constituents from throughout our Assembly
6 district, whether it's Colonie, Clifton Park,
7 Malta, or Stillwater, have written letters,
8 they've faxed e-mails to me, they have made
9 phone calls to me expressing their opposition
10 to dredging.

11 And I have just one letter I just
12 got today that is typical of the sentiment of
13 the constituents that I represent. And my
14 constituent writes: "Dear Assemblyman
15 Prentiss, I am opposed to dredging the upper
16 Hudson River. The river is beautiful today
17 and cleaner than it has been in generations.
18 Dredging will do more harm than good. I
19 support allowing the river to continue its
20 natural recovery."

21 These are the voices that I'm
22 hearing from --

23 AUDIENCE MEMBER: Jack Welch send
24 that?

1 ASSEMBLYMAN PRENTISS: The voices
2 of the people who live along the Hudson River,
3 those who are steeped in tradition, heritage,
4 and history, those who have made the river a
5 part of their lifestyle.

6 By choosing to dredge the river,
7 the progress the Hudson has made in the last
8 two decades is in jeopardy. The EPA's plan
9 will turn progress into mud that people living
10 along the Hudson will have to trek through
11 for five years, according to your own
12 testimony. And earlier this year a New York
13 State Department of Environmental Conservation
14 official said that the EPA has estimated the
15 timeframe of completing such an arduous task,
16 that 10, maybe 20 years is more realistic.
17 That's a lot of years and that's an even lot
18 more mud.

19 If the plan to dredge moves
20 forward, however long it takes, private
21 landowners will be forced to endure what might
22 as well be the seizure of their property.
23 And, furthermore, the river ecosystem will be
24 destroyed.

1 The upper Hudson River is making a
2 remarkable comeback. If dredging commences,
3 local communities will suffer the
4 consequences. And as a member of the Assembly
5 representing the 107th Assembly District, I
6 urge the EPA to reconsider this plan that's
7 been presented tonight to dredge. For the
8 region's sake, don't dredge the Hudson.

9 MR. CASPE: Thank you.

10 (Someone in the audience asked Mr.
11 Caspe a question which was unintelligible to
12 the writer.) Okay, if I can.

13 We now get into -- if we can get to
14 the point where we start calling people to the
15 microphones, there are a few facts I think we
16 are all going to agree on: (1) is that, you
17 know, we have 110 people who want to speak;
18 110 times 2 minutes is 220 minutes; 220
19 minutes is almost four hours. So if we stick
20 to 2 minutes, we can get out of here by a
21 little -- around midnight. If we go -- that's
22 assumed that EPA doesn't speak, which is
23 probably. If you want to stay, we have no
24 place to go, we will stay as long as you want.

1 But what I'm suggesting, we ought to start,
2 people would try to please try to stay to the
3 2 minutes so that people who aren't number 1
4 and number 2 get an opportunity to speak.
5 There will be somebody down here with color
6 forms or whatever they are. Again, watch the
7 colors, please try to keep to the 2 minutes.
8 I'm going to call the names in lists of five.
9 Also, there are empty seats up front. If
10 people want to try to move forward, there is
11 probably -- you probably could get thirty
12 people down here, and it would be a little bit
13 more comfortable than you are back there. So
14 please feel free to come down and give it a
15 try. The first five speakers that we have are
16 William Cook, George Hodgson, Donald McIntyre,
17 Al Hayner, and Ken Duffy. Would those five
18 people start approaching the microphones,
19 please. And what I'll do is after the third
20 speaker I will call the next -- by the time we
21 get done with the third we'll call the next
22 five. Please try to keep to the time frame.
23 As you approach the mike, just so the
24 stenographer can get it, spell your name, and

1 if you are affiliated with somebody, who you
2 are affiliated with.

3 Thank you.

4 WILLIAM COOK: Good evening. My
5 name is William Cook and I'm the Director of
6 Government Relations for the National Audubon
7 Society in New York State. National Audubon
8 Society represents over 50,000 members
9 dedicated to the protection of birds, wildlife
10 and their habitat. Audubon strongly supports
11 the Environmental Protection Agency's PCB
12 cleanup project for the upper Hudson. After
13 20 years of studies and debate the time has
14 come to take action. The removal of the PCBs
15 in the hot spots in the upper Hudson River is
16 long overdue. PCBs in the sediment hot spots
17 are slowly being redistributed through the
18 entire river ecosystem. The only way to
19 achieve further cleanup in the Hudson is to
20 remove them from the river. On the dredging
21 of the hot spots, technology now exists that
22 contains sediments and particles during the
23 operation. The famous dredging that GE has
24 used in its campaign is at least grossly

1 misleading. A vacuum-contained system of
2 dredging is proposed for this cleanup project.
3 As for the disposal of contaminated sediments,
4 you heard this evening that they would not end
5 up in the Hudson Valley, and, in fact, would
6 not end up in New York. There have been
7 claims that science is needed to justify the
8 PCB hot spots in the river being remediated.
9 GE has called for science. Studies have
10 indicated that 1500 year flood events which
11 will certainly continue to occur will further
12 resuspend the PCBs in the sediment spots
13 throughout the river. National Audubon
14 supports provisions that make General Electric
15 Corporation financially responsible for the
16 clean up. The PCBs in the Hudson were put
17 there by GE, and nobody disputes that.
18 Audubon strongly supports the proposed EPA PCB
19 cleanup proposal in order to safeguard the
20 health of our birds, wildlife and their
21 ecosystems. Removal of PCBs hot spots is
22 critical. PCBs are a significant public
23 health risk to the Hudson Valley especially
24 those who eat fish out of the river.

1 MR. CASPE: I appreciate your
2 support.

3 WILLIAM COOK: Thank you.

4 MR. CASPE: You have a good
5 evening.

6 George Hodgson.

7 I could just say, for those of you
8 that have written statements, if you would
9 like to summarize them and give us the written
10 statements, that would be fine as well. Thank
11 you.

12 Mr. Hodgson.

13 GEORGE HODGSON: Good evening, my
14 name is George Hodgson. I'm Director of
15 Saratoga County's Environmental Management
16 Council - SCEMC. The Saratoga County
17 Environmental Management Council is a citizen
18 advisory council to the Saratoga County Board
19 of Supervisors. The council has been actively
20 involved in reviewing and commenting on the
21 science being utilized in EPA's Hudson River
22 PCB superfund reassessment since 1992. We
23 have reviewed and commented to EPA on all
24 their Phase 2 reassessment work plans and

1 technical reports since that time. Based upon
2 our review of both GE and EPA reassessment
3 information generated to date it is our
4 opinion that existing reassessment science
5 does not support "targeted" dredging of hot
6 spot PCB areas to be an effective remediation
7 technique to reduce water level concentrations
8 of PCB's in the upper Hudson. It is
9 unfortunate that the massive amounts of highly
10 technical information generated as part of
11 Hudson River PCB reassessment has prevented
12 the public from evaluating important
13 reassessment science used in the decision
14 making process. Instead I see what I describe
15 as a lot of knee jerk emotionalism of
16 anti-dredge versus pro-dredge most of which is
17 not based upon any scientific evaluation of
18 where the PCBs are in the river and how they
19 behave there. The mindset of many proponents
20 of dredging the river clean, that PCBs must be
21 removed from the river because they are there,
22 can be a highly flawed premise, especially in
23 a dynamic river system such as the Hudson.
24 Sure they shouldn't be there, and there are

1 human and ecological health concerns related
2 to exposure to PCBs. However, the basis of
3 reassessment's decision making should rely on
4 valid PCB data and transport and
5 bio-accumulation modeling which identifies
6 where the PCB sources are in the river -- are
7 in or coming to the river while identifying
8 the PCB transfer mechanisms which allow for
9 the release to the water and the resultant
10 bio-accumulation within the river's food
11 chain. In a net depositional river such as
12 the Hudson -- that's the two minutes? Okay.
13 I just have a couple of questions. Will you
14 answer questions tonight? Are you here to
15 answer questions?

16 MR. CASPE: Well you have used
17 your two minutes -- (Crowd is making a lot of
18 noise.)

19 WILLIAM COOK: One quick
20 question.

21 MR. CASPE: Sorry. Sir, if you
22 would -- hold it. (Audience making a lot of
23 noise.) In fairness if you would like to fill
24 out another card, you can come back around the

1 next time around.

2 Now, thank you.

3 WILLIAM COOK: Thanks for all
4 that good time. I appreciate it.

5 MR. CASPE: You're welcome.
6 Donald MacIntyre. And the next five speakers
7 will be Todd Campbell, Brad Cushing, Aaron
8 Meier, Ennio Ruggi, and Roger Gray. So if
9 they could start moving down to the mike as
10 well. Thank you. I'm sorry.

11 DONALD MacINTYRE: Am I on?

12 Thank you, Mr. Chairman.

13 My name is Don MacIntyre and I am
14 from the upper reaches of the Hudson River.
15 Lake Champlain is really home to all of you
16 who have the PCB problem right here. We are
17 here because we represent a very small
18 community, the Chamber of Commerce of
19 Westport. Westport, you know, is one of the
20 lake communities. We are really a part of
21 your river system and we want to be with you.
22 We are here to learn, to find out, and to try
23 and deal with this problem in the best way
24 that we can. We're -- I notice in the back of

1 the room where I was sitting there are lots of
2 people that really feel vibrant about this
3 problem of dredging. We are here to learn.
4 We are not sure that dredging is the way to
5 deal with this problem. We want to be with
6 you. We want to be on the right side. We are
7 here to learn. We think that you should take
8 more than a second look at this problem of
9 dredging. I just want to thank you for the
10 time to be here, and thank you very much.

11 MR. CASPE: Thank you.

12 Is Al Hayner here?

13 Okay. And what about Ken Duffy?

14 Okay. Sorry.

15 KEN DUFFY: Thank you.

16 My name is Ken Duffy. I am
17 Executive Director of the Rensselaer County
18 Environmental Management Council. Like my
19 counterpart from Saratoga County I have been
20 involved in this issue for ten years. I would
21 like to share with you tonight the thought
22 process and the review process that we went
23 through before we reached our recommendation.

24 First, we needed to determine if

1 PCBs were actually harmful to your health and
2 to wild life. To determine that we undertook
3 a two year study which involved literature
4 review, peer review, expert testimony, public
5 forums and basically a comprehensive review of
6 everything we could get, we could read, we
7 could understand. At the end of two years we
8 published a report, PCBs Harmful or Harmless.
9 We concluded in that report that PCBs are
10 indeed harmful to wildlife, endocrine
11 disruptors, as we heard, hormonal disruption,
12 behavioral problems, developmental problems,
13 wild life and humans both. PCBs are bad. We
14 had to minimize exposure to PCBs.

15 The second, we needed to test GE's
16 theory that clean sediments were covering
17 these PCBs, and isolating them from the water
18 column, isolating them from exposure pathways.
19 That is not the case.

20 The GE ads show a chart that shows
21 dramatic drops in the level of PCBs.
22 Basically that chart shows that PCBs in the
23 column have dropped dramatically, but PCBs in
24 fish, as you pointed out tonight, have stayed

1 constant over the last five years.

2 We are not going to minimize
3 exposure pathways by letting PCBs stay in
4 concentrated hot spots of the Hudson. We need
5 to minimize exposure. Third, we need to test
6 the claim that the river would be shut down
7 for 10 to 20 years if dredging were ordered.
8 That is not the case. There's not one shred
9 of credible evidence out there that supports
10 the claim that this river will be shut down
11 for 10 to 20 years. The last concern that we
12 have is about the farm land and that's been
13 taken care of. So I just want to tell you we
14 support the project proposal here tonight.

15 Thank you very much for your work.

16 TODD CAMPBELL: My name is Todd
17 Campbell. I'm simply a resident of the area
18 here. I live about four miles outside of
19 town.

20 I haven't done any extensive
21 studies and analysis that some of these
22 gentlemen have done, but I do share with
23 respect to the remediation of the PCBs in the
24 Hudson Assemblyman Prentiss's concerns and

1 skepticism over the value of the dredging
2 program.

3 In just looking through the report
4 there's a number of alternatives presented.
5 It seems that the preferred alternative, while
6 providing benefits in terms of the decrease in
7 contamination levels of PCBs in the fish and
8 in the water, also by comparison to other
9 remediation programs, namely, your alternative
10 number two, which is the control at the
11 source, provides only a slight differential in
12 the time it takes to remediate the problem.

13 Second point I'd like to make is
14 that institutional controls are the main focus
15 today in preventing health concerns or risks
16 to the public. This is a problem that's
17 primarily focused at anglers and people who
18 eat the fish of the upper Hudson River.

19 If you notice -- in fact, the
20 slide's still up -- in the preferred
21 alternative, the institutional controls remain
22 in place. So you've done a big dredging
23 program, you've disturbed a lot of material,
24 you've disturbed the community, you've

1 destroyed wildlife and habitat and the
2 institutional controls stay in place when
3 you're all done.

4 My final point is, I share the
5 skepticism over the time period it would take
6 to perform the targeted dredging under the
7 preferred alternative. If you do a
8 straight-line extrapolation, it will take
9 probably 19 years compared to the previous
10 dredging programs that have been done.

11 Thank you.

12 MR. CASPE: I would just point
13 out that all institutional controls aren't the
14 same. The institutional controls we're
15 referring to in the preferred alternative we
16 believe would be considerably relaxed from the
17 institutional controls which are eat none
18 today.

19 The next speaker is Brad Cushing.

20 BRAD CUSHING: Believe it or not,
21 I have a question and not a statement.

22 I'm Brad Cushing, C-U-S-H-I-N-G.
23 I'm an environmental engineer with Applied
24 Environmental Management.

1 My question goes to the
2 implementation of this program.

3 It's clear that you've proposed a
4 dredging program unprecedented in scope and
5 are predicting that it will be done in five
6 years. Can you tell us how many dredges at a
7 time will be operating?

8 Let me just ask several parts.

9 How many dredges at a time will be
10 operating?

11 What production rates have you
12 assume?

13 And how many shifts a day do you
14 plan to operate the dredges?

15 And then the related question is
16 what is the split you've assumed between
17 hazardous and non-hazardous waste? In other
18 words, TOSCA and non-TOSCA waste?

19 Thank you.

20 MR. CASPE: Can you just give me
21 that third part again?

22 I got dredges, production rates.
23 The last one is --

24 BRAD CUSHING: How many shifts a

1 day will be the dredges operate?

2 MR. CASPE: Okay. Gotcha.

3 Okay. I think we can give you
4 answers to all four questions, actually.

5 Depends on what type of dredges
6 you're using. If you were using environmental
7 clam shells, we would expect four to five,
8 four to five operating at the same time.

9 If you're using hydraulic dredges,
10 it would be fewer. Production time of a
11 hydraulic, of a large hydraulic dredge would
12 be up to 250 cubic yards per hour, whereas the
13 production rates of the clam shells, the large
14 clam shells, which is a four cubic yard bucket
15 was around -- do you remember? -- around 70
16 cubic yards an hour. And if it was a two, a
17 smaller clam shell of two cubic yards bucket,
18 then it would be -- 45 was the number? --
19 something around 40, 45 cubic yards per hour.
20 So those are the production rates.

21 Roughly two-thirds of the material
22 we expect to be non-TOSCA material,
23 non-hazardous waste. One-third would be
24 hazardous waste.

1 As far as the shifts, it would be a
2 seven-day -- well, six days a week actually is
3 the way we do it. Six days a week for, what,
4 eight months a year, roughly? Six months a
5 year, 24 hours a day.

6 BRAD CUSHING: Twenty-four, six.

7 MR. CASPE: Three shifts.

8 AUDIENCE MEMBER: Three shifts?

9 MR. CASPE: Yes.

10 (Comments from audience members.)

11 BRAD CUSHING: Just one follow
12 up.

13 The 250 cubic yards an hour is
14 quite a bit larger than we've seen at any of
15 the previous dredging projects to date.

16 Can you tell us what assumptions
17 you've made that makes you expect you can
18 produce those rates with a hydraulic dredge?

19 MR. CASPE: One of the critical
20 items is figuring out -- and when you're
21 figuring out a production rate from a
22 hydraulic dredge is the water treatment plant,
23 because you're pumping a lot of water,
24 obviously, with it. So we would have to size

1 a fairly large water treatment plant, which is
2 in the footprint that I spoke of earlier when
3 I said a 15-acre dewatering facility. That's
4 what -- we would need that to accommodate the
5 water treatment plant, which would be fairly
6 large in order to accommodate that type of a
7 production.

8 Thank you very much.

9 BRAD CUSHING: Thank you.

10 MR. CASPE: Next speaker was
11 Aaron Mair.

12 Aaron Mair, not there.

13 Ennio Ruggi.

14 ENNIO RUGGI: My name is Ennio
15 Ruggi. I'm from the group CEASE, which is
16 Citizens Environmentalists Against Sludge
17 Encapsulation. I'm from Fort Edward. Thank
18 you for the opportunity.

19 I have a question.

20 On page 23 of the proposed plan it
21 says, "Work areas in the river will be
22 isolated, meaning access restricted."

23 My question is: EPA has said this
24 project is going to be done with no disruption

1 to the community. I would like to know how
2 many work areas will be of this type, and what
3 does -- how does that restrict our boating
4 community?

5 MR. CASPE: I think -- you want
6 to answer that, Alison?

7 MS. HESS: In that portion of the
8 proposed plan, we're referring to the areas of
9 the river where the dredges would be in place.
10 So, depending on the number of dredges, three
11 or four, so dredges would be restricted to the
12 personnel in the dredging operation itself.
13 Of course, we would not want to have members
14 of the community in those particular areas.
15 However, as I mentioned, the design of the
16 proposed alternative includes allowing the
17 normal flow of river traffic so that we would
18 be able to accommodate the boats passing by,
19 whether commercial or recreational boats, in
20 the river.

21 ENNIO RUGGI: Will it restrict
22 swimming?

23 MS. HESS: There would be --
24 currently, we've evaluated there is no

1 unacceptable health risk for swimming or
2 wading or boating in the river currently. Of
3 course, in the immediate vicinity of the
4 dredges, that would not be a wise place for
5 anyone to swim, but the normal swimming in
6 other parts of the river would not be a
7 problem.

8 MR. CASPE: Thank you.

9 ENNIO RUGGI: Thank you very
10 much.

11 MR. CASPE: The next five after
12 the next speaker are Laura Haight, Ken Fish,
13 Rayna Caldwell, Fred Stein, and Matt Levin.

14 The next speaker is Roger Gray.

15 ROGER GRAY: I'm Roger Gray. I'm
16 from Albany, New York.

17 I just want to say that I
18 understand that GE, as one of the wealthiest
19 corporations on the planet, has a
20 responsibility to its stockholders. What GE
21 doesn't seem to understand is, as a corporate
22 citizen, they have a responsibility to the
23 community.

24 I want to thank EPA for making them

1 face up to the responsibility to clean the
2 poisons that they left in the river.

3 GE's ads have tried to make us
4 believe that the river's cleaning itself.
5 When I was a kid growing up on the river, it
6 was an sewer. You could see human waste
7 floating in the river, you could see the
8 different colored water from the different
9 industrial sites that were pumping effluents
10 into the river.

11 That all changed in the early '70s
12 when the Clean Water Act required
13 municipalities to build sewage treatment plans
14 and prevented industries from dumping their
15 waste in the river. This was a government
16 action that caused the river to clean. The
17 river didn't clean itself. We need another
18 government action to finish the job.

19 And I want to thank you very much
20 for making that happen.

21 (Applause.)

22 MR. CASPE: Next speaker is Laura
23 Haight.

24 LAURA HAIGHT: Yes, hi. My name

1 is Laura Haight.

2 MR. CASPE: Hi.

3 LAURA HAIGHT: I'm Senior
4 Environmental Associate with the New York
5 Public Interest Research Group, and I'm based
6 in Albany where I live. NYPIRG firmly
7 supports environmental dredging of PCB hot
8 spots in the river. I will be submitting
9 formal comments on the plan at a subsequent
10 date. So some of my comments here will be
11 more personal. I have spent my entire life
12 living within a few miles of the Hudson River,
13 and I have been fighting for a PCB cleanup of
14 the Hudson River since the mid-1980s. Like
15 many people in this audience I have waited a
16 long time for this moment and I am relieved
17 and elated that the EPA has finally
18 recommended cleanup of the river. But I am
19 also sobered by what our future has in store
20 for us in terms of making our way from this
21 moment in time to a final disposition that
22 will result in a cleanup.

23 However, I am gratified that
24 there's so many people here and I think that

1 we are unified by one common issue. I think
2 all of us love the Hudson River, and I think
3 that's something we need to hold in our hearts
4 and our minds as we proceed further with this,
5 that we are talking about something that we
6 all care about. And as several of the
7 speakers had mentioned before, a lot of the
8 improvements to the Hudson River really are
9 the result of sewage treatment plants that
10 have been required under the Clean Water Act.
11 And it's because of that that we have come
12 back, the river's fish populations and wild
13 life populations. That's why now many people
14 choose to swim and boat in the river.
15 However, we still can't eat the fish from the
16 river, and that's what this all about. This
17 is about cleaning up the PCBs so that the fish
18 will be safe for us and for wild life to
19 enjoy.

20 I also want to say that this is an
21 issue that has inspired many of our student
22 campus chapters, and there are a lot of people
23 in this room who were born years after this
24 issue surfaced in the public mind. And they

1 understand this in a very simple, black and
2 white way, which is GE made the mess, GE
3 should pay to clean it up.

4 Thank you very much.

5 MR. CASPE: Thank you.

6 The next speaker is Ken Fish.

7 KEN FISH: There are several
8 ironies in life. As most of you know I worked
9 for the General Electric Company, and I am
10 proud that I work for the General Electric
11 Company. The first irony I would like to
12 indicate to you is that my last name is Fish.
13 That's spelled F-I-S-H. And I have spent 10
14 years looking at fish data on the Hudson
15 River. The second irony is that my parents
16 live just a few miles from Model City, one of
17 the places that you are potentially
18 recommending that the dredge material goes to.
19 An alternative is Texas. Regardless of where
20 it ends up being sent to there is community
21 opposition outside of this area, outside the
22 Hudson River Valley. In other words the
23 concern over where the dredged materials go
24 does not end at the Hudson River shores. What

1 are you doing to address the social and
2 economic issues related to toxic substances
3 going into other communities?

4 MR. CASPE: Thank you.

5 In response to the question I would
6 just -- I would point out a couple of things.
7 I mentioned Texas and the Buffalo-Niagara
8 Falls area. I mentioned two areas that we had
9 used for pricing out. You have to use
10 something to price out something to figure
11 out, well, what might it cost. So we looked
12 at those things. That is not necessarily
13 where any of this material is going to go.
14 What would happen here is that this material
15 will go to licensed facilities some place in
16 the United States. We are saying outside of
17 the Hudson Valley.

18 KEN FISH: My question is --

19 MR. CASPE: And those license --
20 let me just finish, please.

21 KEN FISH: My question is there's
22 community opposition no matter where it goes.

23 MR. CASPE: That's not true.

24 That's not true. We ship a lot of ways, a lot

1 of different places on regular basis.

2 KEN FISH: There is already
3 community opposition in Western New York.
4 It's obvious.

5 MR. CASPE: Wherever it goes it
6 will go to a licensed facility where there
7 will be bids placed, where people -- there
8 will be opportunity for people -- there's
9 money, quite frankly, involved in this. This
10 is an issue of trade. This is an issue of
11 putting this material some place where
12 somebody is looking to make a profit on it.
13 So that's largely where it ends up going.

14 Thank you.

15 The next speaker is Fred Stein.

16 The next five speakers are Manna Jo
17 Greene, Pete Sheehan, Bob Gibson, Stephen
18 Davis, and Robert Henrickson. Fred Stein?

19 FRED STEIN: Yes, good evening.
20 PCBs are a long term threat to human beings.
21 The organization I represent, Rensselaer
22 County Environmental Action, has been spending
23 the last several years trying to determine
24 what the facts are about PCBs and health. We

1 heard some of the other facts tonight. But
2 based on those findings we support the
3 cleaning up of targeted hot spots very
4 strongly. What we have come to know is that
5 there is a long term cancer threat, but one
6 that is hard to prove in individual illnesses
7 or death. Just like smoking and cancer. PCBs
8 slowly concentrating in the human being result
9 in disruptions of the endocrine system, in
10 sexual dysfunction and in reduced fertility,
11 but that too is hard to prove in individual
12 cases of malfunction just like smoking and
13 lung cancer. PCBs in body fat and in mother's
14 milk create developmental and behavioral and
15 learning problems in children and maybe in
16 adults too. How many of you have kids with
17 ADHD or other learning or behavioral problems
18 and you are wondering where it came from? Of
19 course these target disabilities are hard to
20 link to PCBs just like smoking and throat
21 cancer. Two weeks ago some GE talking head on
22 t.v. stated that there is no credible evidence
23 that PCBs cause health effects in people.
24 What an irresponsible and incredible

1 statement. Granted how difficult it is to
2 prove in individual cases that PCBs are
3 harmful to human health, but I know, and I
4 take comfort in the fact that the public knows
5 now that the eleven tobacco executives who
6 stood before Congress and swore that tobacco
7 was not addictive were lying. Remember this,
8 the longer the best possible clean up is
9 delayed the more PCBs will spread throughout
10 the world. The more the PCBs are spread and
11 accumulated in people, the more harm is done
12 to human beings of all ages. Thank you.

13 MR. CASPE: Thank you.

14 My apologies. The next speaker is
15 Rayna Caldwell.

16 RAYNA CALDWELL: Thank you.

17 I just want to thank the EPA for a
18 thankless and grief laden job, but I also hope
19 that those who have concerns about the
20 dredging have their concerns adequately
21 addressed.

22 My question is what powers the
23 dredges? Is it diesel power, are these diesel
24 powered machines? If so, has the EPA factored

1 in the environmental impact of the -- on the
2 atmosphere and the air quality particulate
3 matter and greenhouse gas condition? And,
4 thirdly, would you consider using a
5 bio-deisel, if it's a diesel powered -- if
6 these are diesel powered dredges?

7 MR. CASPE: No, we haven't. At
8 this stage of the game -- at this stage of the
9 game we have not considered that factor but
10 that's something -- that's a good point to
11 raise, and is something we will consider in
12 our studies.

13 Thank you.

14 Next speaker is Matt Levin.

15 For those of you standing in the
16 back, there's lots of seats up here now.
17 There's plenty of seats. There's no reason to
18 be standing. It's going to be a long night.
19 Matt.

20 MATT LEVIN: My question is in
21 your report here you mentioned there's an
22 estimated PCB mass to be removed of 33,000
23 kilograms. My question is why does 33,000
24 kilograms of material translate into 1,732,000

1 cubic yards of material? That seems to me a
2 drastic difference in quantity of materials
3 removed that we are looking to remove.
4 Everybody here wants it gone versus what is
5 actually in our river, what is our ecosystem,
6 what our plants and life that we want to keep
7 in the river.

8 MR. CASPE: Okay. Well let me
9 just -- I'm not sure the quantities -- they
10 are a little bit different than the quantities
11 that we spoke of, but it's still the same
12 issue. The PCBs unfortunately don't stay pure
13 in the river. What they do is they mix with
14 clean sediment and create contaminated
15 sediment. So you may have sediment that may
16 average something like 30 parts per million of
17 PCBs, which means that for every million parts
18 of clean sediment there's only 30 parts of the
19 dirty -- of the PCB's within it. So when
20 you -- in order to remove those PCBs you have
21 to remove a lot of clean with it in order to
22 get -- because it's all mixed together.

23 MATT LEVIN: I assumed that,
24 which leads me to my follow up question. The

1 dredging process, as the last person
2 mentioned, seems to be an old and hard and
3 fast way of cleaning up rivers. It seems on
4 several other projects you have spent 10 years
5 trying to determine whether or not PCBs are a
6 problem. Why can't we find a way to spend ten
7 years finding a better way to get them out of
8 our river?

9 MR. CASPE: Thank you.

10 Next speaker is Manna Jo Greene.

11 MANNA JO GREENE: I'm Manna Jo
12 Greene. I'm the environmental director for
13 Hudson River Sloop Clearwater. And on behalf
14 of Hudson River Sloop Clearwater, I
15 congratulate the EPA on its proposed plan to
16 actively remove PCB contaminated sediments
17 from the hot spots in the upper Hudson River.

18 Clearwater supports a rigorous
19 remediation, which minimizes impacts on the
20 river ecology and human health.

21 General Electric has perpetuated
22 the misleading notion that the Hudson River
23 will somehow clean itself. This has not
24 happened in the past 50 years, nor in the last

1 23 years since PCBs were banned in 1977.

2 PCBs are persistent. To break the
3 toxic cycle of bioaccumulation, evaporation,
4 and atmospheric transport, PCBs must be
5 carefully removed by environmental dredging
6 techniques which use vacuum suction and are
7 designed to prevent resuspension of
8 contaminated sediments.

9 The river is not cleaning itself.
10 PCBs are moving down river, out of the ocean
11 and into the biosphere. A small percent are
12 transformed by bacterial activities slowly to
13 less chlorinated forms, which are still toxic
14 and more mobile. Dilution is clearly not the
15 solution to pollution. Remediation is.

16 Tonight I would like to enter into
17 the public record Clearwater's video which
18 documents the human health and environmental
19 impacts, which have been listed here tonight.

20 Many people in the Hudson Valley
21 have not been persuaded by GE's intentionally
22 misleading multimillion dollar advertising
23 campaign. GE needs to take responsibility for
24 the problem it created and dedicate its vast

1 resources to cleaning up the river, rather
2 than trying to sway public opinion with
3 spurious advertising and delay remediation by
4 endless lawsuits.

5 Thank you.

6 MR. CASPE: Thank you.

7 Next speaker is Pete Sheehan.

8 PETE SHEEHAN: My name is Pete
9 Sheehan. I am the chairperson of the Sierra
10 Club's Hudson Mohawk group. I'm speaking on
11 behalf of approximately 2300 members, local
12 members from Albany to the Adirondacks.

13 First of all, I would like to
14 commend the EPA for addressing the serious
15 public health risks associated with PCB
16 contamination of the Hudson River.

17 Because of these health risks, we
18 feel strongly that the PCBs must be removed
19 from the Hudson River by use of the best
20 available and most environmentally sound
21 technology. Those of us that live downstream
22 from the most contaminated areas are concerned
23 for the health of our families and the health
24 of the ecosystem.

1 We understand that there might be
2 some short-term disruption during the clean-up
3 phase, but we believe the long-term risk to
4 those of us living downstream far exceed the
5 temporary inconveniences of the long, overdue
6 clean up of the Hudson River. Your proposed
7 clean up is a good start in protecting the
8 health and livelihood of Hudson Valley
9 residents.

10 After we review your plan in full,
11 we will submit a formal statement about the
12 specifics of the clean-up plan. We believe
13 that the time for action is now and that there
14 has been enough study on the Hudson River.

15 Thank you for your time and
16 commitment to clean up the Hudson River.

17 MR. CASPE: Thank you.

18 Next speaker is Bob Gibson.

19 BOB GIBSON: Thanks. Last name
20 G-I-B-S-O-N. I work for General Electric and
21 am involved in GE's clean-up programs at their
22 plant sites and the Hudson River.

23 Mr. Caspe, earlier tonight you had
24 mentioned that PCB levels in fish in the

1 Thompson Island Pool have remained stable in
2 the last couple of months. In your document
3 you released last week the preferred remedy
4 summary piece, you indicated that remediation
5 was necessary because PCB levels in fish had
6 not changed significantly over the last
7 decade.

8 Mr. Tomchuk earlier tonight
9 presented some of the fish data and showed,
10 among other things, the concentration of 21
11 parts per million in large mouth bass in the
12 Thompson Island Pool in 1999. What he didn't
13 tell you, what he didn't tell the audience was
14 that in 2000, the concentrations of large
15 mouth bass PCBs, were less than half that, at
16 eight parts per million.

17 Now, if you look at all of the PCB
18 data that the DEC has collected over the years
19 you do, in fact, see significant declines in
20 the fish concentrations. In Thompson Island
21 Pool, PCBs have declined an average of nine
22 percent per year in the last six years, from
23 1994 to the present. If you look at over time
24 periods from '93 to '95 and compare them to

1 the most recent data, you see declines of over
2 50 percent for brown bullhead and 46 percent
3 for the large mouth bass.

4 Both GE's and EPA's models predict
5 that declines occur natural conditions.

6 I just I can't understand how you
7 can make those statements when the data itself
8 shows these declines.

9 Thank you.

10 MR. CASPE: Thank you.

11 Well, we, obviously, have a
12 difference of opinion. Our review of the
13 data, when we take into account the fat
14 content, the lipid based, shows, we believe
15 shows a level, a level amount of contamination
16 in the fish.

17 BOB GIBSON: The results I just
18 indicated are lipid based values as well.

19 MR. CASPE: Okay. Thank you.

20 If you do me a favor, the speakers,
21 please, when you come up to make your question
22 or your statement, please get close to the
23 mike so everybody can hear.

24 Next speaker is Stephen Davis.

1 STEPHEN DAVIS: My name is
2 Stephen Davis. I'm from Fort Edward, home of
3 the Sludge Water Derby.

4 Back in the '70s, we had a dam
5 taken out, and I assume that there was a
6 tremendous amount of PCBs in that sludge. And
7 I often wonder what happened to that. That
8 might be worse than what's in the Hudson right
9 now.

10 And when you remove, when you do
11 the dredging, there's bound to be leaks in
12 pumps, pipe joints, etcetera. And I was
13 wondering how much is going to escape during
14 the dredging process?

15 And earlier you made a comment
16 about, only about one-half, you're going to
17 have about a one-half reduction in PCBs going
18 over the dam in Troy. That almost doesn't
19 sound like it's worth the effort, that maybe
20 something else needs to be done.

21 (Applause.)

22 MR. CASPE: Well, we believe a
23 40-percent reduction is worth the effort. We
24 wish we could do more, but we can't come up

1 with something that will do that.

2 The next speaker is Robert
3 Henrickson.

4 ROBERT HENRICKSON: Good evening.
5 My name is Robert Henrickson I'm the president
6 of the Nassau Union of Concerned Citizens,
7 Incorporated. My organ --

8 MR. CASPE: I'm sorry. I forgot
9 to name the next five speakers.

10 The next five are Judy
11 Schmidt-Dean, Lee Coleman, Scott Smith Chris
12 White, and Beret Pinyoun.

13 I apologize.

14 ROBERT HENRICKSON: No problem.

15 The last name is
16 H-E-N-R-I-C-K-S-O-N.

17 With two minutes, I'm just going to
18 cut right to the chase.

19 From the research and study that I
20 have done so far on the subject of dredging
21 these compounds from the Hudson River, I have
22 reached the following conclusions:

23 Number one, the compounds involved
24 do present a clear danger, both to ourselves

1 and, because of their longevity, to future
2 generations.

3 As the flow of information has
4 accelerated, particularly over the last five
5 years, it has become obvious that we need to
6 adopt a precautionary principle that we err on
7 the side of caution with chemicals until they
8 are proven safe.

9 The fact that GE openly and
10 casually dumped PCBs in the Hudson during the
11 last century, during our mad rush to live
12 better through chemistry, should sadly support
13 this position.

14 Number two, the river can be safely
15 hydraulically be cleaned in the planned
16 targeted fashion, as has been demonstrated at
17 other sites.

18 Additionally, Governor Pataki and
19 New York State Department of Environmental
20 Conservation Commissioner John Cahill, who
21 have shown commendable courage and wisdom in
22 supporting this remediation, have stated that
23 the EPA process will be carefully monitored.
24 The EPA has stated unequivocally that PCBs

1 will be safely disposed of and not along the
2 banks of the Hudson.

3 I think it's safe to say the EPA
4 heard your concerns several years ago.

5 Is it also obvious that this
6 remediation can be done not at taxpayer
7 expense but at the expense of the responsible
8 party, GE, and that GE's bottomline will
9 hardly notice the difference.

10 I would also recommend the
11 following to tonight's audience: That if you
12 do nothing else when you leave the meeting
13 tonight, that you go to your library and take
14 a look at a book called *Our Stolen Future*. If
15 you're on the web, it's ourstolenfuture.org.
16 Secondly, support Governor Pataki and John
17 Cahill. Third, I'd like to say more. Let's
18 all boycott GE products.

19 Thank you.

20 (Applause).

21 MR. CASPE: Next speaker is Judy
22 Schmidt-Dean.

23 JUDY SCHMIDT-DEAN: Hi, my name
24 is Judy Dean. My husband, Phil, and I --

1 MR. CASPE: Excuse me, Judy,
2 could you get closer, please?

3 JUDY SCHMIDT-DEAN: Closer? My
4 name is Judy Dean. My husband, Phil, and I
5 own the Schuyler Yacht Basin in Schuylerville.
6 I am also Chair of the EPA's Reassessment
7 Community Interaction Program Citizens Liaison
8 Group. We find this decision by the EPA to
9 dredge the Hudson River as remedy for the PCB
10 contamination and the fish to be
11 irresponsible. The manner in which it was
12 announced demonstrated the agency's disregard
13 of the public, and specifically disrespects
14 the community surrounding the site. It was in
15 fact contemptuous. We feel the decision is
16 also premature. It has come before the
17 National Academy of Sciences has issued it's
18 report. In this report the Academy will be
19 looking specifically at the effectiveness of
20 dredging as remediation. Their findings
21 cannot be ignored especially as the EPA has
22 yet to conduct a proper study on the science
23 of dredging themselves. The decision ignores
24 the recently released report of the

1 reassessment by the General Accounting Office.
2 They concluded that after an objective
3 examination of the two computer models
4 presented, one by the EPA and one by GE, that
5 the differences were few. The models were
6 similar enough to warrant more investigation.
7 This comparison of the two models is something
8 we have repeatedly asked the EPA to do, and
9 which they have refused to do. The GAO has
10 now told us why, and this also cannot be
11 ignored. Finally, and we cannot stress this
12 enough, the level of remediation must be in
13 direct proportion to the level of risk. To
14 try and lower the level of PCBs in the fish,
15 levels which are coming down each year and now
16 hover above the legal 2 parts per million with
17 a massive dredge project is utterly
18 ridiculous.

19 And on a personal note after 10
20 years of involvement in this reassessment do
21 you honestly think that all I didn't want was
22 a landfill? Obviously you haven't heard a
23 word I said about what life on that river is
24 really like. None of you live here and none

1 of you know. And just briefly, like Ken Fish,
2 I also have ties to Western New York in
3 Buffalo, and as Representative -- Congressman
4 Quinn has said, you are not bringing PCBs to
5 Buffalo.

6 MR. CASPE: The next speaker is
7 Lee Coleman. Is Lee Coleman there? No --
8 okay.

9 LEE COLEMAN: My name is Lee
10 Coleman. I'm a reporter with the Daily
11 Gazette out of Schenectady. I just have a
12 couple of questions. Will you in any way use
13 the Saratoga County landfill, a new landfill
14 in the Town of Northumberland for any of the
15 refuse from this dredge project?

16 MR. CASPE: No.

17 LEE COLEMAN: The other question
18 is the land based dewatering areas, could you
19 be more specific about those? You said one
20 was going to be north of what Moreau landfill?

21 MR. CASPE: We were looking -- I
22 mean we have not selected areas specifically
23 so -- but for costing purposes the area
24 considered was what's considered the old

1 Moreau landfill which was where spoils were
2 placed in 19 -- 1977 after the DOT dredging.

3 LEE COLEMAN: Is that off the
4 West River Road?

5 MR. CASPE: Yes.

6 LEE COLEMAN: So then the other
7 dewatering site would be the Port of Albany?

8 MR. CASPE: Yes.

9 LEE COLEMAN: Will that barge
10 down? They would barge the materials down?

11 MR. CASPE: Yes, the materials
12 would be barged down to that Albany location.

13 LEE COLEMAN: Thank you.

14 MR. CASPE: Sure.

15 Next speaker is Scott Smith.

16 SCOTT SMITH: I'm Scott Smith
17 from the Town of Hudson Falls. I have some
18 questions that I would like to ask. If you
19 undertake this project, have you attempted to
20 quantify the risk to the public if the
21 contaminated sediment is disturbed, if it is
22 staged? And as this dewatering facility is
23 being built, would there be risk to existing
24 public or private water supplies? If you

1 undertake this project, what fraction of the
2 PCB mass would end up resuspended in the
3 river? And would that actually result in
4 increased PCB levels in the food or the fish
5 life? And is there any risk of accelerating
6 the downstream migration of PCB if it is
7 disturbed?

8 MR. CASPE: We didn't quantify
9 the risk directly from the facilities, the
10 exposure from there is not quantified. But it
11 should be a fairly short term so that cancer
12 risks would not be, you know, over a 40 year
13 life time exposure or three year life time
14 exposure would not be an exceedance, I do not
15 believe. There would have to be
16 considerations for water supplies to make sure
17 they are protected, you know, intakes in the
18 upper Hudson such as Waterford. At the same
19 time most filtering type processes do remove
20 the particulate bound PCBs. And then as far
21 as the percentage of mass resuspended, we
22 did -- we do an analysis of that and we found
23 that the -- with fairly conservative
24 assumptions that the resuspension would not be

1 a significant gain in the amount of PCBs that
2 are currently going -- being transported from
3 the system. So we do not feel that that will
4 add significant risk. I would also like to
5 add that, you know, from events such as in the
6 1993 with the Allen Mill increase of PCBs we
7 saw that fish levels do decline quickly after
8 there are upsets in the system such as that.

9 Okay. The next five speakers,
10 before we call the next one are going to be
11 John Connelly, Patrick Shannon, Bruce
12 Carpenter, Joe Gardner and David Hunt. After
13 those five speakers we are going to take a 15
14 minute intermission. And then we will
15 reconvene after that. The next speaker is
16 Chris White from New Paltz. I'm sorry.

17 CHRIS WHITE: Good evening. My
18 name is Chris White and I'm from New Paltz,
19 New York. My comments are more personal in
20 nature than some of the preceding comments.
21 I'm a life long resident of the Hudson Valley.
22 I grew up with -- my father was a shad
23 fisherman from Garrison. He was also a
24 striped bass fisherman, and the last one to

1 actively, commercially fish out of Garrison,
2 New York. His father taught him how to fish,
3 and I grew up racking nets, and trying to get
4 that smell of fish off my hands after working
5 with my Dad. The PCBs, as we all know, have
6 shut down that fishery which was once a
7 vibrant \$40 million a year industry. People
8 like my father lost their business because of
9 the PCBs. We had crab pots that were piled
10 up, we had eel pots that were piled up. Our
11 boat just ended up being abandoned where we
12 used to fish. My grandfather had done it, my
13 father had done it and my brothers and I could
14 not do it. I would like to see that my
15 children would have the option to do that in
16 the future again. A lot of us ate the fish in
17 the Hudson while we were growing up. Luckily
18 I didn't because I hated fish, but my parents
19 ate a lot of fish, and, you know, I have just
20 have to wonder what that had to do -- if it
21 had anything to do with the fact that my Mom
22 died of breast cancer. We grew up eating an
23 awful lot of fish, and you just have to -- you
24 don't like to have those questions about "did

1 this effect that", and I have to think that it
2 had some kind of contribution to that. I
3 don't think we want to have that legacy
4 hanging over us. We have a historic moment
5 here. We could really do something to improve
6 the river. I think the EPA has been fantastic
7 with their science. I support your proposal
8 for dredging, and I think we need to clean up
9 the river.

10 Thank you.

11 MR. CASPE: Next speaker is Baret
12 Pinyoun.

13 BARET PINYOUN: Yes. Hi, my name
14 is Baret Pinyoun. I live in Saratoga Springs
15 and I work for the Sierra Club. The Sierra
16 Club commends the EPA for coming out with a
17 plan to clean up the Hudson River once and for
18 all. We feel very strongly that the PCBs
19 plays a serious human health risk to people
20 living in the Hudson Valley, and the PCBs need
21 to be removed from the river. And on that
22 note General Electric made the mess, General
23 Electric should clean it up. That's the law.
24 Polluter pays.

1 That said, I would like to read
2 something that I think a lot of people in this
3 room will identify with:

4 "Twass two weeks before
5 Christmas and along the Hudson River the
6 creatures were sick because GE wouldn't
7 deliver. The EPA said clean it up and GE
8 said, we'll sue. And the people stood by
9 deciding what to do. Most people knew
10 their voices could force a big change
11 before it was too late and all the fish
12 were deranged. They had had enough lies,
13 enough denial and delay. They wanted GE
14 to clean the Hudson today. So they went
15 to the meeting and they stood up to talk.
16 They demanded that GE walk the cleanup
17 walk, and EPA heard their concerns for
18 their health, and said to GE, clean it up
19 with your wealth. But GE spent their
20 money on propaganda widely heard. With
21 their misleading ads they turned dredge
22 into a dirty word. But we know the truth
23 that cleanup is good. We would start it
24 now if we only could. So we are here

1 with a message for the EPA: We need a
2 clean river so start cleaning today."

3 Thank you.

4 MR. CASPE: Thank you.

5 Next speaker is John Connolly.

6 JOHN CONNOLLY: Hi. My name is
7 John Connolly, C-O-N-N-O-L-L-Y. I'm with
8 Qauntitative Environmental Analysis. I'm an
9 environmental engineer.

10 First thing I wanted to do was
11 correct what I perceived to be a confusion
12 based on comments from some of the other
13 speakers, that dredging gets fish
14 concentrations to a level that could not be
15 achieved by source control.

16 The Agency's analysis shows that
17 dredging and source control get the fish to
18 the same point. The difference is in the
19 timing.

20 And the question that I have
21 relates to the issue of timing. The perceived
22 benefit of dredging is that it gets you to
23 this level quicker than source control and
24 it's predicated on the ability to dredge the

1 river quickly, the five-year assumption, which
2 is very quick relative to what has been
3 achieved at other sites.

4 The question I have is: Have you
5 looked at the benefits you would achieve by
6 dredging if you were not able to dredge at
7 such an aggressive rate, if it took 10 years
8 or it took 20 years, as it has indicated it
9 would based on other projects?

10 How much benefit is derived by
11 dredging relative to source control if, in
12 fact, you can't dredge at the rates that
13 you've assumed?

14 MR. CASPE: I'd respond to both
15 questions. First I would say that, and as
16 the -- actually, we have a chart in the back
17 that shows one example of it. As you're
18 walking out, perhaps you all may want to take
19 a look at it. But that dredging and source
20 control are not mutually independent items.
21 The two of them -- we're not saying that one
22 is better than the other. We're saying
23 they're both necessary and we're looking for
24 both of them to be accomplished.

1 Source control gets you halfway
2 there. Dredging gets you the other half of
3 the way, from our perspective.

4 Second item is speed. You asked
5 whether we've looked to do it faster. We may
6 have, but the truth of the matter is there is
7 not need to look to do it faster. We know we
8 can do it in five years. You know, this job
9 can be done in five years and the ideas that,
10 again, that we said people have put out about,
11 well, look at what you've done here on a much
12 smaller site and say, well, let's scale it up
13 and multiply it by factors. You know, well,
14 again, if it's 10 times as much, it's 10 times
15 as long. That's not the case, we know that's
16 not the case, and we're convinced we can do
17 it.

18 Thank you, John.

19 JOHN CONNOLLY: Just to respond.

20 Source control doesn't get you
21 halfway there and dredging doesn't get you the
22 other half. They both get you to the same
23 place, which is what the chart shows. It's
24 just a matter of time.

1 (Applause).

2 MR. CASPE: Next speaker is
3 Patrick Shannon. Patrick Shannon, Sierra
4 Club.

5 PATRICK SHANNON: My name is
6 Patrick Shannon. I'm from Saratoga Springs.
7 And I have lived my whole life with the Hudson
8 River polluted with PCBS. And for 20 years,
9 over two decades of that time of my life, the
10 river has been polluted with PCBs and the EPA
11 has known that PCBs cause cancer in humans --
12 I'm sorry -- cause cancer in animals, that
13 they probably cause cancer in humans, and that
14 there are other health effects, including
15 endocrin disruption. And that some day I
16 would like to go to the Hudson River and fish
17 and come home and eat my fish. And I would
18 also like to take my kids some day to the
19 Hudson River to fish and come home and eat and
20 fish -- and eat them.

21 So my request is that the EPA use
22 this plan to the fullest to insure that the
23 safety and the health of the citizen in the
24 Hudson River Valley are protected for the

1 future.

2 Thank you.

3 (Applause.)

4 MR. CASPE: Next speaker is Bruce
5 Carpenter.

6 BRUCE CARPENTER: My name is
7 Bruce Carpenter. I'm the Executive Director
8 of New York Rivers United.

9 My organization's mission is to
10 conserve, protect, and restore the rivers of
11 New York State.

12 We couldn't have a more appropriate
13 thing for my organization. The Hudson River,
14 it's a legacy that we all share in. Rivers
15 are a public resource and they're a source of
16 pride for all of us.

17 The Hudson River opened up America.
18 Isn't it time we returned some of her glory
19 back to her?

20 For the last 20 years, we've
21 waited. If this were a site in your backyard,
22 rather than the river, everybody would be
23 screaming to get it cleaned up, but because
24 it's under the water, we want to forget about

1 it. The precedent that we could set here,
2 could go across the country. Our nation's
3 rivers are at risk, and it starts here at the
4 Hudson. We need to clean it up.

5 We applaud the EPA's decision to
6 move forward with an aggressive clean up and
7 we look forward to working with you on the
8 plan.

9 Thank you.

10 MR. CASPE: Next speaker is Joe
11 Gardner.

12 Let me just say that the next five
13 speakers after the break are going to be Mel
14 Schweigerge, Barbara Thomas, James Kudlack,
15 Allen Mattison, and Dee Carroll.

16 So after the break, those will be
17 the five.

18 Thank you.

19 JOE GARDNER: Joe Gardner,
20 G-A-R-D-N-E-R. I live in Delmar.

21 I've conducted a Hudson River PCB
22 campaign the last three years. It's been
23 funded by Hudson River Improvement Fund in New
24 York City and the Appalachian Mountain Club

1 Mohawk Hudson Chapter and the Central Office
2 over in Boston on Joy Street.

3 What we're really talking about is
4 corporate welfare. Jack Welch, 17 percent
5 increase this year. The Board of Directors of
6 GE ought to be shamed for the dedication they
7 give to the big buck. Human welfare makes no
8 difference.

9 I read about women in their 40s and
10 50s that die every day in *The Schenectady*
11 *Gazette* and *The Times Union*.

12 And in contrast to a few folks that
13 are against dredging, I sat in on most of the
14 scientific studies and peer reviews and I'm
15 with EPA a hundred percent.

16 And one other thing, ask GE where
17 they send their PCBs from Hudson Falls and
18 Fort Edward.

19 Thank you.

20 MR. CASPE: Next speaker is David
21 Hunt.

22 DAVID HUNT: David Hunt. I live
23 in Grafton, one of the 60 towns that oppose
24 dredging in the words of my elected official,

1 who I did not elect.

2 In someone who spends time on and
3 in the river, studying its plants and animals,
4 I've been disheartened by the numerous impacts
5 we've imposed on the river, including
6 alterations of flows coming out of Indian Lake
7 and Sacandaga Lake, impoundments in the
8 Adirondacks, the barrier to anadromous fish
9 posed by the Troy Dam, prevention of natural
10 floods in the Poplar and Silver Maple flood
11 plane forests with hard banks along Menands
12 and Watervliet, the large declines in three
13 native mollusks species by factors such as
14 zebra muscles, which have been brought in by
15 boat traffic, the scraping of the river
16 sediments over tens of miles for navigational
17 dredging and, lastly, the poisoning of native
18 animals of the Thompson Island Pool by PCBs.

19 The title portion of the Hudson
20 River is essentially unique in this state and
21 probably has a good chance to being restored
22 to one of the few best examples of this river
23 type along the east coast in the U.S. if we
24 reduce some of these major disturbances that

1 exist now.

2 The prospect of dredging
3 concentrated PCBs from a few pools gives hope
4 to those like myself most connected to the
5 river, who have long experienced the despair
6 which comes from feeling these disturbances.

7 So, while I strongly support
8 dredging in selected areas, I think it's
9 unfair not for me and others to share in the
10 cost of clean up with GE. No one ever asked
11 me what I want to do with my tax money, and
12 I'm told that about two-thirds of it goes to
13 supporting military efforts. And I would
14 rather, much rather have my tax money going
15 all to this and paying more than that to clean
16 up the Hudson River than to see it go to the
17 killing of brothers and sisters around the
18 world and production of weapons of mass
19 destruction.

20 Thanks.

21 MR. CASPE: Thank you.

22 It's now a little after 10 after 9.
23 I'd like to reconvene promptly at 9:25.

24 Thank you.

1 (Break.)

2 MR. CASPE: Okay the next speaker
3 is Mel Schweigerge.

4 MEL SCHWEIGERGE: Mel
5 Schweigerge, S-C-H-W-E-I-G-E-R-G-E. I have a
6 question. In your reports you have said that
7 cohesive sediments are the primary source of
8 PCBs. If so, why are you proposing to dredge
9 as much or more core sediments than cohesive
10 sediments in the Thompson Island pool?

11 MR. TOMCHUK: The PCB
12 concentrations -- or the PCBs that come out of
13 the cohesive sediment, the fine sediments are
14 the predominant source. However, it's not
15 saying that that's an isolation. There are
16 PCBs in non-cohesive areas that do contribute
17 to the water column and we believe that those
18 areas need to be targeted as well to help
19 reduce the PCB loads to the fish.

20 MR. CASPE: Thank you.

21 The next speaker is Barbara Thomas.

22 BARBARA THOMAS: My name is
23 Barbara Thomas and I'm the co-president of the
24 League of Women Voters of Saratoga County.

1 Tonight I'm speaking not only for my local
2 league, but on behalf of the 7,500 members of
3 the League of Women Voters of New York State.
4 The League worked for passage of and continues
5 to support the Clean Water Act, the Clean
6 Drinking Water Act, the Resource Conservation
7 and Recovery Act, the Superfund Program, and
8 full program funding for the U.S.
9 Environmental Protection Agency. Because we
10 believe in a strong federal role in
11 formulating national policies and procedures
12 to protect our environment. We believe in a
13 strong federal role first because the
14 identified PCB pollution in the Hudson effects
15 more than the local portion of the Hudson.
16 These waters flow into the Atlantic Ocean
17 where it could effect not only the shell
18 fisherman on Long Island, but fisherman along
19 the coast of other states.

20 Second, having and enforcing
21 nationwide standards protects all citizens and
22 prevents companies from threatening to take
23 their business to a state where standards are
24 lower.

1 Third, having and enforcing
2 nationwide standards for the protection of our
3 public health protects us both personally and
4 financially. We will all pay for these
5 potential health problems in time lost from
6 productive work in the payment of medical fees
7 whether they are paid for out of pocket, or by
8 health insurers or by government, medically
9 funded programs.

10 I'm going to go right to my closing
11 statement. The League does not support that
12 there will be a high price to be paid by river
13 boarder communities. Rather we believe that a
14 clean river would allow environmentally
15 compatible development to occur that is now
16 prohibited by contamination. The League wants
17 the cleanup to proceed so that we know the
18 river is getting as clean as scientifically
19 possible, as quickly as possible. We want --
20 we have all been harmed by our loss of a great
21 natural resource and we want it restored.

22 The full statement is here.

23 MR. CASPE: Thank you.

24 The next speaker is James Kudlack.

1 JAMES KUDLACK: I'm James Kudlack
2 a former agriculture advisor to Congressman
3 Solomon, retired, at last. We have heard time
4 after time --

5 MR. CASPE: Excuse me, Mr.
6 Kudlack. Could you stand a little closer?

7 JAMES KUDLACK: We have heard
8 time after time to dredge, not to dredge. We
9 listen to very elaborate discussions on how
10 hazardous PCBs are on fish and humans, and
11 discussions that there is no proof of PCBs
12 being a hazard. I have heard nothing of
13 alternatives to dredging. The ideal method
14 would be the solar crystal refractory system
15 which can break PCBs down by subjecting PCBs
16 to very high temperatures. To explain the
17 solar crystal refractory system mechanics
18 briefly, it will consist of refractory tubes,
19 the hot spots would be coffered, sledge would
20 be constantly stirred and circulated through
21 the system by pipe line. No mess, no fuss.
22 To supplement and to defray some of
23 the PCB clean up costs I highly advise for the
24 Hudson River Research Institute to be

1 established in the Fort Edward area. Let's
2 stop trucking PCBs. Let us properly dispose
3 of them once and for all.

4 Thank you.

5 MR. CASPE: The next five
6 speakers will be Paul Doody, Jeff Jones, Tom
7 Echikson, Robert Davis and Jeff Kelly.

8 The next speaker is Allen Mattison.

9 ALLEN MATTISON: Hi, my name is
10 Allen Mattison. I'm a member of the Sierra
11 Club and I want to applaud the EPA for the
12 work that they have done to come up with this
13 plan in the face of tremendous opposition.

14 Let's cut to the chase. GE dumped
15 cancer-causing chemicals into the Hudson River
16 and GE has to pay to clean up this mess.

17 That's not just American law.
18 That's the American sense of fairness. The
19 polluter should pay. That's why Governor
20 Pataki supports this plan, and that's why
21 Americans all over support cleaning up of the
22 Hudson River. We are witnessing the poster
23 child of all corporate propaganda wars to duck
24 responsibility. But all the lawyers, PR

1 flacks and scientists that GE can buy can't
2 change the fact, GE dumped PCBs into the
3 Hudson, the river is not healing by itself,
4 and the EPA is proposing a way to clean it up
5 safely. GE has spent millions to distort the
6 facts and pollute the air waves, but facts are
7 facts: It's time for GE to step up to the
8 plate and clean up America's biggest toxic
9 waste site to protect the Hudson Valley's
10 families and our future.

11 Thank you.

12 MR. CASPE: The next speaker is
13 Dee Carroll. (No appearance.)

14 Okay. The next speaker is Paul
15 Doody.

16 PAUL DOODY: Hello, my name is
17 Paul Doody - D-O-O-D-Y. I actually had a
18 number of questions about a topic you really
19 didn't cover tonight, but I did see it in the
20 proposed plan and that is, as I understand it,
21 after you have completed the dredging, you
22 are proposing that certain areas be
23 backfilled. And I had a couple of
24 questions -- actually four questions I was

1 hoping you could answer for me.

2 First of all what material do you
3 plan to use for backfilling those dredged
4 areas? What's the basis for selecting that
5 material? Are you trying to match existing
6 conditions with the material you are going to
7 replace?

8 Secondly, how much material are you
9 expecting to use as backfill, and where is
10 that material going to come from? How do you
11 plan to transport, handle and place the
12 material as the dredging is completed, and
13 secondly, when you look at the scale of that,
14 how does that compare with the largest
15 backfilling volume that's been used elsewhere
16 in environmental dredging projects?

17 Did you get all those questions?

18 MR. CASPE: Yep.

19 MR. TOMCHUK: The material that
20 we are planning to backfill would be sand or
21 gravel or a combination of both, and the
22 purpose of the backfill is not only to restore
23 the river bottom to the original topography,
24 but to also to provide a suitable habitat for

1 replacing the existing habitat in the dredge
2 locations. We would place up to one foot of
3 backfill in the areas dredged, and in some
4 areas, specifically the navigation channel, we
5 would not place any backfill.

6 MR. CASPE: The next speaker is
7 Jeff Jones. Jeff Jones.

8 Next speaker is Tom Echikson.

9 TOM ECHIKSON: It's Echikson,
10 E-C-H-I-K-S-O-N.

11 I have a question.

12 From the materials that have been
13 presented so far, it looks like you've
14 examined, essentially, two options; either do
15 source control or you do an extremely large
16 dredging project, a project that's larger than
17 all the other projects EPA's done previously.

18 Based on a comparison of these two
19 options, you conclude that the dredging
20 project will lead to certain benefits, for
21 example, some reduced level of advisories that
22 result as compared to source control.

23 There didn't appear to be, at least
24 from the material so far, any examination of

1 smaller projects, more discrete projects. For
2 example, you say that the Thompson Island Pool
3 is the major source of PCBs.

4 Was there an examination of
5 dredging just in the Thompson Island Pool?

6 And if you hadn't done it, why not?

7 And if you have, what do those
8 results show?

9 MR. CASPE: I think, as we tried
10 to lay out, certainly, let me start that, at
11 the beginning of the program, the remedies
12 were selected on each of pools based upon a
13 specific goals for each pool. There certainly
14 was a remedy looking at just the Thompson
15 Island Pool or a part of the remedy that would
16 look just at the Thompson Island Pool, that
17 would have an impact on, certainly, on the
18 fish in that six-mile stretch of the river, a
19 significant impact on the fish in that
20 six-mile stretch of the river, was roughly 1.5
21 million cubic yards of dredging that we were
22 looking at for that part alone.

23 So we did look at a variety of
24 different options. We looked at combinations,

1 permutations, different things were screened
2 out earlier on, other things were carried
3 through to complete engineering analyses. But
4 we did look, as you'll see, I guess as the
5 feasibility study becomes available and as you
6 review the feasibility study, that those
7 things are in there.

8 I would ask the speakers to please
9 identify, if they have an affiliation, who the
10 affiliations are.

11 Next speaker is Robert Davis.

12 Next speaker is Jeff Kelly.

13 Before I get to Jeff Kelly, I'm
14 sorry, the next five speakers are Adam Ayers,
15 Rich Schiafo, Ivan Vamos, Chris Walbrecht, and
16 Marshall Secunda.

17 Sorry, Jeff.

18 JEFF KELLY: That's all right.

19 My name is Jeffy Kelly. I'm not
20 affiliated with any group. I live here in
21 Saratoga Springs. I was the editor of
22 Adirondack Life Magazine for four years. And
23 I am concerned about the environment. I'm
24 also an avid kayaker.

1 In 1991, for five days, I battled
2 up the Hudson from Albany to New York City. I
3 was pleasantly surprised, I didn't see one
4 dead fish in the entire 130 miles, the water
5 was clean and clear.

6 Now, north of Hudson, north of
7 Albany, rather, today you can swim in the
8 Hudson, you can drink the water, if you
9 choose. It's not dangerous. We are advised
10 not to eat the fish. And the fishermen I've
11 spoken to told me they throw the fish back.

12 I say keep this policy in effect
13 regardless of PCB levels. Even if the fish
14 show no traces of PCBs, throw the fish back.
15 Problem solved. If, in fact, in a perfect
16 world no one ate the fish, my understanding of
17 what you've explained to me tonight, there'd
18 be no PCB dangers to humans. Problem solved.

19 North of Albany, for all eternity,
20 when you fish, throw the fish back.

21 I'm sure there's another meeting
22 going on tonight down in the Hudson River, at
23 the bottom, and it's among the fish. And, I
24 assure you, they want to be thrown back. You

1 know? Choosing PCBs in their system or being
2 thrown back, they'll take being thrown back.

3 (Applause.)

4 Now, according to one study I've
5 read, a human being would have to eat pounds
6 of Hudson River fish every day for decades to
7 endanger his or her health to a cancerous
8 level.

9 Now, one thing I'd like to read.
10 In an EPA's legal announcement of it's
11 remedial alternative, this was in today's
12 Saratogian. This was in the legal advertising
13 section. Here's what they say. Here's what
14 they printed so you can be sure they chose
15 their words carefully.

16 (Applause.)

17 JEFF KELLY: Wait a minute.

18 MR. CASPE: Hold it. Hold it.
19 Hold it. Come on.

20 JEFF KELLY: I'll be done in a
21 minute. In one minute, literally.

22 "Some of the dredged areas will be
23 backfilled and approximately one foot of clean
24 material to isodate -- isolate residual PCB

1 contamination."

2 So that tells me two things: One,
3 they're not taking all the PCBs. So, after
4 they do the largest and costliest clean up of
5 its kind ever, they're admitting there's still
6 going to be tons of PCBs down there.

7 Number two --

8 MR. CASPE: Okay. Hold it.
9 Okay. Thank you.

10 JEFF KELLY: I really have -- is
11 my time up?

12 Okay. I got you.

13 Number two, they're putting mud
14 back over what they had there. The same thing
15 that was already there.

16 MR. CASPE: Okay. I would just
17 point out that our fish consumption data that
18 says fish become very unhealthy, and our .05
19 concentration number is based upon one fish
20 meal a month, a week, excuse me, one fish meal
21 a week, that's one-half pound meal a week is
22 what could cause significant problems. So I
23 wouldn't advise anybody to be eating this fish
24 or think that you have to eat pounds of it a

1 day in order to get sick.

2 AUDIENCE MEMBER: That's for the
3 whole State of New York; right? Just about.
4 It's not just the Hudson. It's --

5 AUDIENCE MEMBER: Go to Price
6 Chopper.

7 MR. CASPE: Okay. We're talking
8 about a consumption number --

9 AUDIENCE MEMBER: The
10 environmental conservation book on fishing and
11 hunting, you'll see that almost every body of
12 water in the State of New York, except for
13 Saratoga Lake and some lakes, almost every
14 river you can eat.

15 MR. CASPE: Okay. I'm going to
16 regain control here now.

17 Okay. The next speaker is -- we
18 have to get through this thing. I'm sorry --
19 Adam Ayers.

20 ADAM AYERS: Hi, my name is Adam
21 Ayers. I'm a biologist with GE.

22 MR. CASPE: Sorry, I can't hear
23 you. Can you --

24 ADAM AYERS: Sorry. My name is

1 Adam Ayers - A-Y-E-R-S. I'm a biologist with
2 GE. I'm concerned that there's been
3 absolutely no information or discussion
4 concerning the benefit of EPA's dredging
5 proposal versus the ecological cost to the
6 ecosystem in the river. As you guys know,
7 this is an unprecedented project in it's size.
8 It is my understanding that most of the
9 dredging would occur in submerged aquatic
10 vegetation beds in the Thompson Island pool
11 which I believe you are aware those are some
12 of the most diverse habitats there are,
13 provide a lot of habitat for fish, feeding for
14 wild life and things of that nature. Has
15 there been any evaluation of the ecological
16 benefit versus the cost of dredging? And if
17 not, when are you going to discuss that? When
18 will you present that to the public and how
19 have you evaluated that?

20 MR. CASPE: I believe that
21 information is in the feasibility study, I
22 guess copies of which have just been
23 transmitted to the General Electric Company,
24 that type of information as far as how we

1 evaluated that. But, yes, we do -- we haven't
2 looked at those impacts. And I don't know
3 whether -- Alison, do you want to pick up on
4 that a little bit?

5 MS. HESS: I just want to add
6 that the Environmental Protection Agency did
7 not do a cost benefit analysis. We don't look
8 at the ecological effects versus cost. But we
9 did evaluate and consult with experts about
10 whether the dredging activity would pose a
11 problem to the environment, to the ecological
12 receptors in the area and we learned that it
13 would be a very short term, transient risk
14 that would not prevent the population of fish
15 and other species from returning.

16 MR. CASPE: Thank you.

17 The next speaker is Rich Schiafo.

18 RICH SCHIAFO: Good evening, my
19 name is Rich Schiafo - S-C-H-I-A-F-O. I'm an
20 Environmental Associate with Scenic Hudson, a
21 Hudson River Valley environmental organization
22 with over 10,000 supporters. Scenic Hudson
23 supports the aggressive removal of PCB
24 contaminated sediments. We believe that a

1 timely and effective removal of PCB
2 contaminated sediments will have tremendous
3 short and long term benefits to the river, and
4 can be accomplished safely. We want to thank
5 the EPA for this opportunity to comment
6 tonight and we also commend EPA for meeting
7 it's December deadline thereby keeping it's
8 promise to residents of the Hudson River
9 Valley. We also commend EPA for making this
10 decision based on the exhaustive and extensive
11 scientific analysis that has undergone
12 unprecedented peer review by independent
13 scientists from around the world. Science
14 that has clearly found that the Hudson River
15 is not and will not clean itself up; science
16 that has found that PCB contaminated sediments
17 are not being buried and that Hudson Valley
18 residents face significant health risks from
19 the consumption of PCB contaminated fish. It
20 is admirable that the EPA has drafted a
21 proposal that is based on sound science and
22 seeks to protect public health and the
23 environment despite tremendous pressure from
24 the likes of GE, it's PR firms, and high

1 powered lobbyists to ignore this public health
2 threat. No other superfund site has endured
3 the technical and political scrutiny that the
4 Hudson River PCB site has endured, and we
5 strongly encourage the EPA to keep this
6 process moving forward, stay on track, and
7 issue it's final record of decision by
8 June 2001. We encourage the EPA to hold
9 public meetings along the entire stretch of
10 the Hudson River, this 200 mile superfund
11 site, including meetings in New York City so
12 that all effected communities have the
13 opportunity to make public comments before the
14 agency. Scenic Hudson will thoroughly review
15 the proposed plan and feasibility study and
16 submit more extensive comments. While on face
17 value the removal of 2.6 million cubic yards
18 and 100,000 pounds of PCBs sounds fairly
19 extensive, we are concerned whether this goes
20 far enough.

21 Our -- just real quickly our three
22 concerns is that to keep the 2000 deadline; we
23 are concerned about the three year design
24 phase, that we need to accelerate that; and

1 does this removal go far enough. Thank you.

2 MR. CASPE: Thank you.

3 The next speaker is Ivan Vamos.

4 IVAN VAMOS: Thank you for the
5 opportunity to comment on the Hudson River PCB
6 Reassessment Project.

7 I am personally been involved with
8 Hudson River issues for over 35 years going
9 back to the days of the Hudson River
10 Environmental Commission. I view with concern
11 the increased impact of pollutions,
12 exacerbated by the removal of the Fort Edward
13 Dam in 1973. My experience with state parks
14 on the State's Canal Board as a consultant and
15 as a member of several organizations has given
16 me an excellent perspective on the issues and
17 the related science pertaining to PCB clean
18 up. I have often observed fish being taken in
19 our parks and other places, and I'm sure eaten
20 by people that don't even speak English let
21 alone read English signs. I have also been
22 quite concerned with the recent propaganda
23 that has been dredged up by GE on this issue.

24 The National River Network has

1 listed the Hudson as one of the ten most
2 endangered rivers for the past four years, and
3 PCB impacts were one of the major reasons. I
4 also note that this week a U.N. treaty was
5 enacted by 122 countries banning the "dirty
6 dozen". They are the twelve most highly toxic
7 chemicals they consider. The press indicated
8 that this was because they break down slowly,
9 the travel easily in the environment and they
10 have been linked to cancer and birth defects.

11 I have been working on the Hudson
12 recently for practically all my summer. I see
13 the need. I urge you to move ahead with this
14 program.

15 Thank you.

16 MR. CASPE: Thank you.

17 The next five speakers are going to
18 be Maureen Ferraro-Davis, Neal Herr, Charles
19 Hanehan, Andy Esperti and Susan Lawrence.

20 MARSHALL SECUNDA: Excuse me.
21 You called my name, Marshall Secunda.

22 MR. CASPE: Yeah, I'm getting up
23 to you. That's -- I'm getting there, I'm
24 getting there. Those are the next five.

1 MARSHALL SECUNDA: Oh, okay.

2 MR. CASPE: The next speaker is
3 Chris Walbrecht.

4 CHRIS WALBRECHT: Hello. Yes, my
5 name is Chris Walbrecht - W-A-L-B-R-E-C-H-T,
6 and I am Program Director with Citizens
7 Campaign for the Environment. Citizens
8 Campaign for the Environment has four offices
9 in New York State. I am representing our
10 Executive Director tonight who is a water
11 quality expert, and I am -- I travelled up
12 from our White Plains office in Westchester
13 County where I live. Our organization has
14 been steadily watching the results of the
15 studies come in. We commend the EPA for their
16 long and hard work in identifying a clean up
17 that we feel is fair for the citizens of New
18 York State to protect water quality and public
19 health.

20 I want to keep my comments very
21 brief tonight as we will be putting together
22 extensive written comments, but I thank you
23 for the opportunity for giving us the chance
24 to speak to you and support the plan for the

1 cleanup.

2 Thank you.

3 MR. CASPE: Thank you.

4 The next speaker is Marshall
5 Secunda.

6 MARSHALL SECUNDA: That's
7 S-E-C-U-N-D-A. I was wondering what would
8 Henry David Thoreau say tonight if he were
9 with us. He would say simplify, simplify,
10 simplify, and if we reduce the entire
11 confrontation, keeping his words in my mind,
12 what we have is the EPA should have as a goal
13 justice for all the people living along the
14 Hudson River. Justice for the Sierra Club
15 people, and justice for the people some of
16 whom I had the opportunity to speak with
17 tonight. Because I wanted to learn -- I'm a
18 Sierra Club member, I wanted to learn what was
19 really going on in the minds of the people
20 opposed to dredging. Let me tell you they
21 have legitimate concerns. Now let's see who
22 the EPA represents. If the EPA fulfills it's
23 mandate, it will represent the Sierra Club,
24 but it will also safeguard all the concerned

1 citizens, some boaters who stand to lose. All
2 their concerns. And -- you are welcome.

3 The only party here that is not
4 really offered justice is General Electric.
5 They are out for the virtue of selfishness. I
6 think in the spirit of the holiday season they
7 need to learn the golden rule. I hope that we
8 can all come together on this, both the Sierra
9 Club, and other environmental organizations,
10 and the people that this issue really matters
11 to the most, the people living along the
12 Hudson River that get their pleasure, that
13 have a monetary involvement in the issue, and
14 I hope -- and I'm addressing you, the EPA, to
15 safeguard these concerns of those people
16 because if you do, then everyone will be
17 united with you, and the only opponents you
18 will have are the paid people of General
19 Electric who have money as their primary goal
20 in life.

21 Thank you very much.

22 MR. CASPE: Next speaker is
23 Maureen Ferraro-Davis.

24 MAUREEN FERRARO-DAVIS: My name

1 is Maureen Ferraro-Davis. I'm a resident of
2 the Hudson River Valley. I live on the banks
3 of the upper Hudson River, in the Town of
4 Schaghticoke, at approximately river mile 158
5 from looking at your map, just below Campbell
6 Island.

7 I've always supported the EPA's
8 decision to actively remediate the upper
9 Hudson with environmental dredging. I do,
10 however, have a concern, the Arbor Hill
11 Environmental Justice Center recently
12 initiated the testing of salt samples in my
13 neighborhood. Samples taken from my yard, not
14 river sediment, came back 380 parts per
15 million and another 780 parts per million.
16 Both samples identified the type of PCB as
17 Aerochlor 1242, which, I believe, is used by
18 GE. It's my understanding that anything over
19 50 parts per million is considered toxic. But
20 I see in your report that the EPA has just
21 determined that my family's exposure to these
22 elevated levels through daily living
23 activities represent an acceptable risk. I'm
24 sorry, but I have a problem hearing that

1 adverse health effects to my family are
2 acceptable risks.

3 Nonetheless, I believe it is time
4 to send GE a message that social
5 responsibility important as a bottom line.

6 MR. CASPE: I would just like to
7 say in response to that that this remedy that
8 we're dealing with here is dealing with the
9 river bottom really and the contaminated
10 sediments there. If you're having a problem
11 on your property as well, you can contact the
12 Department of Health or you can contact us
13 directly as well and we'd be glad to look into
14 it with you and with the State.

15 Next speaker is Neal Herr. Is
16 there a Neal Herr here?

17 Charles Hanehan.

18 CHARLES HANEHAN: Good evening.

19 My name is Charlie Hanehan.

20 My two brothers -- that's

21 H-A-N-E-H-A-N.

22 My two brothers and myself own
23 Hanehan Family Dairy, milking 650 cows in the
24 Town of Saratoga. Okay. We milk -- There you

1 can hear that -- 650 cows in the Town of
2 Saratoga. Part of our farm consists of 110
3 acres of the finest and most productive soil
4 in New York State. This land is mostly in the
5 flood plane of the Hudson River just south of
6 Schuylerville in Coville. It's a beautiful
7 and historic area. In fact, this very tract
8 of land was pictured in the *National*
9 *Geographic* March 1996 article entitled "Herr
10 of the Hudson." There's the picture. That's
11 my land.

12 And I am extremely concerned about
13 increased PCB sedimentation on my land due to
14 EPA's ill-advised proposed dredging project in
15 the Hudson, just up river from my land.

16 I have neighbors who irrigate the
17 land throughout the growing season who are
18 also very concerned about this problem. We
19 are in the process of hiring an environmental
20 engineering firm to do baseline testing of the
21 soil and to monitor PCB levels as the dredging
22 proceeds. We will hold EPA Scenic, Hudson,
23 and the Sierra Club responsible if these
24 levels increase, as I believe they will.

1 Thank you.

2 MR. CASPE: The next five
3 speakers are going to be Bill Koebbeman
4 Pauline Boehm, Louis Marchaland, Frank
5 DeCocio, and John Nicholson.

6 The next speaker is Andy Esperti.

7 ANDY ESPERTI: This one right
8 here?

9 MR. CASPE: Wherever you like.

10 ANDY ESPERTI: Hi. I'm Andy
11 Esperti from Fort Edward. And that's spelled
12 E-S-P-E-R-T-I. I live on Rogers Island, right
13 along side the river. I've lived there over
14 30 years.

15 I've listened to a lot of rhetoric
16 on both sides for a long time now. I've
17 listened to GE's propaganda. I know many
18 people who are involved with and against all
19 this. I feel that a lot of it is personal
20 reasons, business reasons.

21 I've tried to be impartial tonight
22 and not say that my mother worked for GE and
23 five of her co-workers died with her from
24 liver cancer. Can't make the connection, but

1 a good friend of mine who ate fish for over
2 three years, three times a day, every day,
3 died of liver cancer.

4 Now, this can't be proven. But I
5 will say this: I've listened to both sides
6 tonight. I listened to the answers and I
7 listened to the rhetoric in the back, people
8 trying to disrupt it. I feel that the EPA has
9 given us some good answers and I feel that the
10 one way to clean up the river is to dredge it.

11 I have no affiliation with GE. I
12 have a brother that's worked there 20-some-odd
13 years. My father worked for GE for 32 years.
14 But that means nothing to me, except that GE
15 is responsible for putting it there, they have
16 to take it out.

17 Thank you.

18 MR. CASPE: Next speaker is Susan
19 Lawrence.

20 Susan Lawrence.

21 We're halfway to a hundred.

22 Next speaker is Bill Koebbeman.

23 BILL KOEBBEMAN: Thank you.

24 Bill Koebbeman from Halfmoon.

1 I support the plan to dredge PCBs
2 from the Hudson River.

3 This is obviously a very
4 controversial issue. Some on both sides have
5 good points. I think to find a workable
6 solution we need to cooperate with -- from
7 both sides. And I would like to suggest a
8 small step in that direction.

9 I think reasonable people on both
10 sides would agree that both the river and the
11 fish in the river would be better if they
12 didn't contain PCBs. Even GE agrees that some
13 clean up is necessary, since they are
14 currently cleaning up along the shoreline in
15 some areas.

16 To dredge or not to dredge, that is
17 the question.

18 One side says a lot of dredging is
19 required. The another side says none. Who is
20 right?

21 How about a third alternative? A
22 closely monitored pilot project to prove the
23 concept out, a pilot project to large enough
24 to prove the proposed technology is safe and

1 effective under actual conditions, but small
2 enough that the project can be revised or even
3 terminated as the results are assessed.

4 The cost of this project would
5 probably be less than GE is currently spending
6 for lawyers and ads.

7 In 30 years working as an engineer
8 in industry, I've learned that when decisions
9 have to be made, there will always be more
10 questions than answers and there is often as
11 much risk in doing nothing as in taking
12 action.

13 Sometimes you have to move ahead
14 with less than perfect knowledge, but you want
15 to do it in a way that controls the known
16 risks to the greatest extent possible.

17 Will dredging have a significant
18 effect on recreational use and devastate the
19 environment for communities along the Hudson?

20 These are reasonable questions.

21 I believe a closely controlled,
22 monitored pilot project would safely answer
23 these questions.

24 Will dredging improve the health

1 and quality, the quality of health for humans
2 and other creatures along the Hudson?

3 A pilot project would be another
4 good low-risk step towards an answer.

5 Thank you.

6 MR. CASPE: The next speaker is
7 Pauline Boehm -- we'll get somebody. Somebody
8 is on their way. (Speaker having trouble
9 lowering microphone.)

10 PAULINE BOEHM: My name is
11 Pauline Boehm - B-O-E-H-M. I'm from Clifton
12 Park and I just had a very short little spiel,
13 but I have heard so many things tonight that
14 it brought some other things to mind.

15 One of the things I hear a lot of
16 disagreement with people and I would like to
17 think that some of the people that are against
18 dredging are against it because they are
19 misinformed. And I also think I hear concern
20 about river traffic, and I'm not saying that's
21 not a legitimate concern. And I hear people
22 who are concerned about where the waste is
23 going to go, and I'm not saying that's not a
24 legitimate concern. But a lot of people who

1 have spoken against this don't say much about
2 the health risks, and I would think that would
3 be the most important concern. Not only for
4 the people living here now, and not just for
5 the people that live on the upper Hudson, but
6 people who live on the lower Hudson where the
7 PCBs travel to, and for our children and our
8 children's children.

9 And it is also my understanding
10 that when PCBs begin to break down through
11 bacterial action, that they can become even
12 more dangerous because I believe they can then
13 be vaporized and travel through the air? At
14 least this is some of the stuff that I have
15 read and heard about, which is also very
16 important.

17 But, anyway, I just want to say
18 that I do agree with what you are going to do,
19 and I hope you are not swayed by the, you
20 know, the popular whatever, you know, by
21 popular -- the popular thing here. Because I
22 think even though there are people right now
23 that are against this, in the short run, I
24 think in the long run that most people will

1 believe that this will turn out to be the best
2 thing for New York State, for the Hudson
3 River.

4 Thank you.

5 MR. CASPE: Thank you.

6 The next speaker is Louis
7 Marchaland.

8 LOU MARCHALAND, JR.: Lou
9 Marchaland, Jr - M-A-R-C-H-A-L-A-N-D, Town of
10 Greenwich, Easton. I have heard a lot of
11 things about your dredging. All the talk
12 about the PCBs getting disrupted, disturbed.
13 What about all the other contaminants and
14 pollutants in that sediment? I mean there's
15 been pollution in that river for a lot of
16 years. There would be heavy metals, maybe
17 some arsenics, everything is going to get
18 disturbed, everything is going to be moving
19 around. You do a hydraulic dredge, you
20 definitely get spill over. Two hundred fifty
21 ton a hour you are going to have a lot of
22 spillage. That's going to go downstream. I
23 don't care how you try to contain it, it will
24 be moving around. The river is cleaner now

1 than it's been in my life time. Because of
2 the 70's everything got stopped, the PCBs, the
3 sewage. It will clean itself. It has been
4 cleaning itself. And since PCBs are so
5 volatile that half of them are going down here
6 and half are here, they should all have been
7 gone several years ago.

8 One of your previous speakers
9 called the Hudson a great fishery. That must
10 have been several 100 years ago before there
11 was any environmental damage from any
12 progress. Unfortunately progress did destroy
13 a lot of environmental conditions. It has to
14 be repaired, but it will repair itself slowly
15 and gently without destroying everything
16 again.

17 MR. CASPE: Thank you.

18 I would like to respond. The issue
19 that comes up is the issue of resuspension
20 loss. Now there are other contaminants that
21 your concern was, but how much -- the question
22 is when you dredge -- you came up earlier, how
23 much -- and I didn't give an answer to it. It
24 was how much of the PCBs are released as you

1 dredge. And whether we had an estimate for
2 it. And, in fact, we do have an estimate for
3 it. Somebody gave it to me during the break.
4 The estimate is at the resuspension loss.
5 Remember I had spoken earlier that there are
6 500 pounds a year moving down the river. Our
7 estimate of the resuspension loss,
8 uncontrolled, that's without the silt screen,
9 would be 20 pounds per year. When we put
10 controls on that, we think that would be
11 significantly less. So the amount of
12 resuspension that we are expecting here is
13 extremely small. I would just point that out.
14 (Question from the audience.) 20 -- that was
15 20 pounds of PCBs a year versus 500 pounds a
16 year that are currently moving over the Troy
17 Dam.

18 The next speaker is Frank DeCocio.

19 (No appearance.)

20 Okay. The next speaker is John
21 Nicholson. (No appearance.)

22 Oh, I didn't get a chance to call
23 the next five speakers. The next five
24 speakers are Stephanie Van Allen, Richard

1 Bonnabeau, John Van Deloo, Richard Orsi, and
2 Kim Gamache. Give me the next five after that
3 because maybe people are thinning out a little
4 bit and there may not be all the speakers.
5 The next five speakers after that are going to
6 be Kempton Randolph, John Adams, Ernie Martin,
7 Jackie Donnelly, and Paul Lilac. So I'm
8 calling 10 at a time now.

9 So the next speaker is Stephanie
10 Van Allen.

11 The next speaker is Richard
12 Bonnabeau.

13 We're halfway.

14 The next speaker is John Van Deloo.

15 JOHN VAN DELOO: My name is John
16 Van Deloo, that's V-A-N-D-E-L-O-O.

17 I was Born in Albany, New York and
18 I'm a family physician from Schenectady, New
19 York. I'm also an avid fisherman and have
20 fished the Hudson as my ancestors did for over
21 300 years.

22 My uncle and my father ate fish the
23 Hudson River when they were young. My uncle
24 died at 45 years of age in 1966 from stomach

1 cancer. And my father died from a very rare
2 kind of leukemia, called stem cell leukemia.
3 The incidence of cancers, especially breast
4 and lymphomas, is extremely high in Hudson
5 estuary. PCBs affect all parts of the body,
6 the nervous system, the blood system, the
7 immunological system, the endocrin system,
8 just about everything.

9 I've reserved as much as I can PCBs
10 and dredging and listened to GE's point of
11 view. This year, they were dredging in the
12 Mohawk River where I fish, between Lock 8 and
13 9, with a cutter head. This was navigational
14 dredging, but they dredged five days a week.
15 On the Saturday morning we were there
16 catching, within 15 feet of this dredge, an
17 unbelievable number of bass. They were not
18 affected by it at all, up to four pounds. And
19 I saw no serious environmental problems or
20 damage being done by this dredging.

21 I believe it is imperative that
22 dredging to remove as much of the
23 contamination as possible be started as soon
24 as possible.

1 In spite of health advisories, I
2 have seen people catch and take home these
3 fish and know that there are people who eat
4 these fish.

5 It has been established that GE has
6 been spending -- it has been estimated that GE
7 is spending up to \$2 million a year -- or a
8 day in this repulsive and insulting public
9 relations campaign that we've been bombarded
10 with, filled with disinformation, misleading
11 information.

12 Refusal to take responsibility for
13 this problem is driven not by concern for
14 human beings or the environment, but by
15 monetary concern and concerns about the areas
16 throughout New York and the U.S. that they are
17 responsible for contaminating.

18 Thank you.

19 MR. CASPE: Thank you.

20 Next speaker is Richard Orsi.

21 RICHARD ORSI: My name is Richard
22 Orsi, O-R-S-I. I'm a family physician. I'm
23 also the treasurer of the Capital District
24 Chapter of Physicians for Social

1 Responsibility.

2 My family and I live on the river
3 in Selkirk, New York, in the Town of
4 Bethlehem. We've been there 18 years. My
5 family and I also boat and fish the river, so
6 I have many reasons to be here.

7 As a member of Physicians for
8 Social Responsibility, for the past 10 years
9 I've been involved in educating local
10 communities on the dangers of waste
11 incineration, a process that produces dioxins.

12 Therefore, I'm aware of the health
13 effects and environmental effects of PCBs, and
14 the EPA's proposed remedy is the best way deal
15 with this issue at this time.

16 Ideally, pollution should be
17 prevented in the first place. And given this
18 lesson, we should be shutting down waste
19 incinerators across the country.

20 I live on the shore of the Hudson
21 River in Bethlehem. Almost in my backyard is
22 a water treatment plant, a water recovery
23 plant from aquifer on the side of the river,
24 which goes primarily to feed BE's plastics

1 plant in Bethlehem. Several times they've had
2 to dredge the river to keep this plant in
3 operation, which directly benefits GE. The
4 hypocrisy of GE complaining about dredging,
5 whereas they don't complain about dredging
6 that benefits their facilities, is german to
7 this issue.

8 Certainly, the amount's not the
9 same.

10 I also live on a property that used
11 to be an open pit sand mine a hundred years
12 ago. It had deep water access. When
13 navigational dredging was done in the '20s and
14 '30s in this river, massive amounts of
15 dredging, which would dwarf whatever you're
16 going to be doing, that water access was
17 actually covered up. There were mounds,
18 mountains of sand. And I appreciate you
19 coming and taking it away so I can get my deep
20 water access back. You can use it to put down
21 on the new bottom that you're going to need.

22 Thank you very much.

23 MR. CASPE: Next speaker is Kim
24 Gramache.

1 KIM GAMACHE: My name is Kim
2 Gamache. I'm the mayor of the Village of
3 Schuylerville. Spelled G-A-M-A-C-H-E.

4 Decision has been made that's going
5 to have far-reaching implications for our
6 area.

7 The EPA has ruled that GE must
8 dredge the Hudson River.

9 This debate has been ongoing for
10 years with both sides working hard to convince
11 the public that their opinion is the correct
12 one. I have read a great deal of information
13 on the subject, listened to various
14 viewpoints, and reviewed numerous opinions in
15 the newspapers. I have come to the conclusion
16 that this drive by the EPA to dredge the
17 Hudson River has taken on a life of its own.
18 Scientific fact, evidence, or success in
19 similar types of operation is certainly not
20 driving it.

21 Dredging the Hudson River would be
22 a massive undertaking, unprecedented in the
23 history of dredging projects. Millions of
24 yards of material need to be deposited

1 somewhere. Economic devastation for
2 riverfront communities, many of whom have
3 worked hard to revitalize their waterfront
4 areas, many natural habitats would be
5 distributed or destroyed. The effect of this
6 project will be felt for many years to come.

7 The EPA has been unable to convince
8 me that this huge project is needed or will be
9 successful. And many projects conducted
10 throughout the country, projects that are a
11 fraction of the size, results have been very
12 disappointing. PCBs levels were barely
13 diminished, or in some cases were higher than
14 before, despite massive amounts of money
15 spent.

16 I have lived on the river my whole
17 life and I have seen a miraculous recovery
18 take place. Recreational use of the river in
19 Schuylerville has greatly increased and the
20 wildlife is thriving. Even EPA admits that
21 PCB levels in fish would be acceptable by
22 2015.

23 Is there even a chance that this
24 massive dredging project would be complete by

1 then?

2 Mother Nature is cleaning the river
3 and doing a far better job. Dredging is
4 simply not the answer.

5 I would also take a moment to point
6 out that in your own report you're stating
7 that your target concentration in fish, .05
8 parts per million, would take 67 years with no
9 action, 67 years with your massive dredging
10 project.

11 Thank you.

12 MR. CASPE: Thank you.

13 You want to respond?

14 Yeah. All right.

15 MS. HESS: In response to that
16 comment, I'd just like to point out that in
17 the proposed plan, it might appear to some
18 people that the 67 years is the same for all
19 alternatives. But you'll notice under the no
20 action alternative, we don't even get down to
21 .04 parts per million within the 67 years.
22 Under the preferred alternative, we estimate
23 that we'll get down to about .009 or about .01
24 parts per million. That's significantly lower

1 under the preferred alternative.

2 MR. CASPE: I guess I would
3 suggest that you -- guess the point I would
4 just make is that we've put out a large --
5 this is the first public meeting, first of
6 many. And we're certainly all giving opinions
7 here. But we think we've put out a massive
8 amount of information in the last few days and
9 we're going to put out a little bit more yet
10 in the next couple of days. Please try to
11 take the time to listen to that information,
12 understand it, and then we certainly can have
13 the discussion and try to clarify for you and
14 discuss with you what we believe and what you
15 believe.

16 MR. CASPE: Thank you.

17 The next speaker is Kempton
18 Randolph.

19 KEMPTON RANDOLPH: Hi. I'm
20 Kempton Randolph. I represent the Skidmore
21 Greens.

22 I'd just like to point out the fact
23 that PCBs, they do disrupt the endocrin
24 system. They have been proven to cause

1 cancer, but they also act as an estrogen
2 mimic.

3 We all know they accumulate in fat
4 and are released during pregnancy to the
5 fetus. As the baby's in the womb, the mother
6 breaks down her fat reserves and gives these
7 PCBs to her child.

8 Natural estrogen acts to direct
9 development in the fetus, such as the brain
10 development and reproductive system. Estrogen
11 acts on the levels of parts per trillion, but
12 the babies are exposed to parts per million of
13 PCBs because of the contamination that we have
14 in the Hudson.

15 Brain development and reproductive
16 development are negatively affected by these
17 PCBs acting as estrogen mimics. This is seen
18 in children as learning disabilities,
19 hyperactivity, lower sperm count, and
20 infertility.

21 It is imperative that we do all we
22 can to reduce our lifetime exposure to PCBs,
23 not just for the health of us but to the
24 health of generations and generations to come,

1 which is why I and the Skidmore Greens support
2 your decision to dredge.

3 MR. CASPE: Okay. Thank you.

4 Let me call the next 10 speakers
5 now.

6 Kevin Larkin Aricoli, Margot Amman,
7 M. Harkness, Brian Mayes, Rebekah Tanner,
8 David Viale, Patrick Shannon, Gerry Meehan,
9 Chris DePoy, Andy Nolte and Mark Behan.

10 The next speaker is John Adams.

11 Thought somebody was getting up.

12 Next speaker is Ernie Martin.

13 Next speaker is Jackie Donnelly.

14 Next speaker is Paul Lilac.

15 Paul.

16 PAUL LILAC: My name is Paul
17 Lilac. I'm the Supervisor of the Town of
18 Stillwater, a community which has the
19 beautiful Hudson River as it is entire eastern
20 boundary.

21 Some people might recognize me as
22 being in the very first anti-dredging
23 commercial. I wasn't paid to do that
24 commercial. I haven't received a thing from

1 the General Electric Company. In fact, I have
2 no ties to that company whatsoever.

3 What that commercial did was give
4 me the opportunity to state my opinion on this
5 very crucial issue, it gave me a chance to
6 tell the world I love this river. I've seen
7 this river cleaning itself in the past 20
8 years.

9 In my humble opinion, any dredging
10 of PCBs from the bottom of the river would set
11 back the natural cleansing of the river for
12 many, many years, regardless of what dredging
13 technology is used.

14 For the past 25 years, I have been
15 an outspoken advocate of using the Hudson
16 River for recreational purposes. I lobbied
17 for lifting DEC's ban on fishing in the Hudson
18 River by requesting that a catch-and-release
19 fishing program be allowed in the upper Hudson
20 River. After careful and thorough evaluation
21 by the New York State DEC, Governor George
22 Pataki, with State Senator Joseph Bruno and
23 DEC Commissioner Zagada at his side, in 1995
24 stood on the banks of the Hudson River in

1 Stillwater, New York and declared the upper
2 Hudson, from Fort Edward south to Federal Dam
3 in Troy, open for cash-and-release fishing.
4 In doing so, Governor Pataki stated that the
5 Hudson River has never been so clean and that
6 the fish have never been so healthy.

7 It was obvious then, and it is more
8 obvious now, to dredge this river would be a
9 mistake that would have a major, negative
10 impact on the communities which are dependent
11 on the Hudson River as not only a source of
12 recreation but also as an important source
13 that enhances the economic development of
14 these communities.

15 I serve on the Saratoga County
16 Board of Supervisors, and that legislative
17 body passed a unanimous resolution opposing
18 dredging. That Board represents nearly
19 200,000 people, and those voices need to be
20 heard.

21 I also served as vice chairman of
22 the United States Environmental Protection
23 Agency's Governmental Liaison Committee, and
24 that Committee opposes dredging.

1 When are you going to start
2 listening to the people of the upper Hudson
3 River region?

4 I am absolutely convinced that
5 dredging of any kind will set back the natural
6 cleansing of the Hudson River for at least 20
7 years, and probably more. I urge you to
8 reconsider your proposal.

9 And, by the way, when you make
10 another announcement of this magnitude, try to
11 come north of the George Washington Bridge to
12 do it.

13 MR. CASPE: The next speaker is
14 Kevin Larkin Aricoli. (No appearance.)

15 The next speaker is Margot Amman.
16 (No appearance.)

17 Next speaker is M. Harkness.

18 MARK HARKNESS: My name is Mark
19 Harkness. I'm an environmental engineer. I
20 live in Troy. I do work for GE, but I don't
21 work on the river project. I have a question.
22 It's been mentioned several times tonight that
23 the original release of PCBs into the river
24 were 1.3 million pounds. Your plan proposes

1 to treat or remove 100,000 pounds of that.
2 That's 7% of the material originally removed.
3 The difference is 1.2 million pounds. My
4 question is how much of that 1.2 million
5 pounds will be in the sediments of the upper
6 Hudson River after dredging, and how much of
7 that material is in the sediments of the lower
8 Hudson River which will not be treated at all?

9 MR. CASPE: We believe our remedy
10 will remove approximately 50% of the PCBs in
11 the upper Hudson River sediment. Thank you.

12 MARK HARKNESS: And how much is
13 in the lower Hudson?

14 MR. CASPE: The rest of it.

15 MARK HARKNESS: So you're saying
16 that your remedy is going to treat, like, 10%
17 of the PCBs in the river?

18 MR. CASPE: The estimate of 1.3
19 million pounds is just that, there is an
20 estimate. There are no real records of what
21 GE discharged into the river. Estimates
22 actually range from 209,000 to 1.3 million not
23 including any releases from the Hudson Falls
24 plant site, you know, that are seeping out

1 'from the plant site there. So there is no
2 full mass balance of what was discharged to
3 the river, but the materials that went into
4 the lower river and out into the harbor are
5 quite dilute concentrations.

6 MARK HARKNESS: I think if you
7 are going to spend that kind of money and
8 disrupt the community, you might want to do
9 the mass balance.

10 MR. CASPE: Thank you.

11 Next speaker is Brian Mayes.

12 BRIAN MAYES: My name is Brian
13 Mayes - M-A-Y-E-S. I am a toxicologist with
14 the General Electric Company. I have heard an
15 awful lot of health effects discussed here
16 tonight many of which I would like to address,
17 but unfortunately in a forum like this that's
18 certainly not possible.

19 What I do have is a question for
20 the panel. In your proposed plan you have a
21 remediation of 0.05 ppm in fish fillets, and
22 in your own models -- basically I'm following
23 up on a question from a previous gentleman.
24 In your own models you project that within 67

1 years you still will not have reached a level
2 that protects the reasonably, maximally
3 exposed individual. And my question is how
4 does the EPA on sound scientific grounds
5 responsibly request a project of this
6 magnitude be conducted when you know up front
7 that your stated goals will not be met?

8 MR. CASPE: What I would like to
9 point out is the reason we don't achieve the
10 0.05 parts per million is due to the
11 continuing load of PCBs that would remain from
12 the GE-Hudson Falls plant that continue to
13 seep PCBs into the Hudson River. We do
14 estimate that with some additional source
15 control that that load could be reduced, but
16 as long as there is some amount still leaking
17 into the river we don't expect to get to 0.05
18 parts per million in fish. Despite that we
19 would substantially reduce the concentration
20 in fish and thereby reduce the risks to human
21 health and the environment.

22 Thank you.

23 (Comments being shouted from the
24 back of the room.)

1 You want to fill out a card you can
2 come and speak.

3 The next speaker is Rebekah Tanner.
4 (No appearance.)

5 Let me give the next 10 names:
6 John Kaufman, Derrick Zeh, David Mathis, Paul
7 Logeman, Christine Bonds, Margaret Stein, M.J.
8 Delmonico, Marian Nerr, Marilyn Pulver,
9 Michael McLaughlin.

10 The next speaker is David Viale.
11 David?

12 DAVID VIALE: Ah, yeah, it's
13 David Viale - V-I-A-L-E. I have been a
14 resident of Hudson for over 22 years now. And
15 as someone who, you know, grew up on the
16 river, I just want to say I definitely support
17 the preferred remediation.

18 Secondly, as someone who has
19 followed this issue for quite some time now, I
20 studied it in school, I received a Bachelor of
21 Science degree in Biology and Environmental
22 Studies. I fully support, like I said before,
23 the preferred remediation. Thirdly, as an
24 activist who knocked on doors, 50 to 60 doors,

1 every day for three months over the past
2 summer, I talked to hundreds of people who
3 support this. Obviously I can't speak for
4 them, but you can look forward to hearing from
5 them because I know that they support this.

6 And finally and most importantly I
7 am here to support and represent the students.
8 I am here representing students for a clean
9 Hudson, a statewide coalition formed, over 60
10 student groups have signed onto this
11 coalition. It's growing every day. And on
12 behalf of the students who are going to be our
13 future leaders, representatives, scientists I
14 just want to say that they fully support this
15 remediation. And that we ask the EPA to stick
16 to their guns, especially when the new
17 administration comes in, whenever we get our
18 new president because, you know, this thing
19 has been peer reviewed to death. It's been a
20 long time coming and we can't afford to put
21 our health on the back burner anymore.

22 So thank you.

23 Next speaker is Patrick Shannon.

24 (No appearance.)

1 Jerry Meehan. (No appearance.)

2 Chris DePoy. (No appearance.)

3 Andy Nolte.

4 Mark Behan -- oh, Andy Nolte?

5 ANDY NOLTE: Yeah, I appreciate
6 the opportunity to speak tonight. When I was
7 a kid, I learned to swim in the Hudson River.
8 And there was a time when -- it goes to -- go
9 back to when there was still a bridge on the
10 one side where there was a wooden floor on the
11 bridge, you know. That's a lot of years ago,
12 and I guess I got conflicting views here. I
13 hear a lot of people. I know a lot of people
14 in the community and I respect where they are
15 coming from. I don't like the idea of
16 dredging, but I guess from my perspective I
17 have got a personal concern, and that
18 primarily has to do with the medical issues.
19 And one of the things that came available this
20 last week, New York State Health Department
21 posted the cancer rates, and that's scary
22 stuff. If you look at the zip codes, in
23 particular they have got zip codes listed all
24 across the state, and they give the incidence

1 of cancer, and anybody living in the
2 Schuylerville zip code, 12871, the incidence
3 of breast cancer is 50 to 100% higher than
4 expected rate. Now I don't know what the
5 reason for that is, okay. I don't know. I
6 don't know if it's from PCBs, heavy metals,
7 you know, whatever, okay, but that's the
8 reality. The other reality is that you look
9 at Stillwater. The incidence for lung cancer
10 in men is 100% higher, okay. So when I look
11 at those issues, I throw it back to you guys
12 because you are responsible. If you see
13 something like this, you know, you have got a
14 responsibility to the public to find out what
15 is causing this. And then maybe it's like
16 chemotherapy. Maybe we don't like it. Maybe
17 we hate it. But maybe we have to go through
18 it to cure the damned thing. Thanks.

19 MR. CASPE: Next speaker Mark
20 Behan.

21 MARK BEHAN: My name is Mark
22 Behan. It's B-E-H-A-N. I'm here on behalf of
23 the General Electric Company. Just a
24 question. I'm just trying to understand the

1 agency's position so I have it clear. Are you
2 planning to start dredging before the source
3 control work at the Hudson Falls GE plant is
4 completed and evaluated?

5 MR. CASPE: You asked two
6 questions. There's two parts to that question
7 (Someone in the audience said to answer it yes
8 or no.) The answer(sic) is do we plan on
9 dredging before the work is done?

10 MARK BEHAN: And evaluated.

11 MR. CASPE: No. Well I have
12 heard proposals that we might evaluate for 5,
13 10, 20, 50 years and then we'll decide. No,
14 we certainly would believe that source control
15 is something that should be taking place
16 before we dredge, as we dredge the source has
17 been handled.

18 MARK BEHAN: You have a dredging
19 start date of 2004 in the plan.

20 MR. CASPE: Right.

21 MARK BEHAN: And as I read the
22 plan, you expect source control to be in place
23 by 2005.

24 MR. CASPE: We expect them both

1 to be, right -- one is the end of 2004, one is
2 the beginning of 2005. It has to do with
3 December 31st and January 1st dates.

4 MARK BEHAN: So you would not
5 start dredging before the source control work
6 is completed?

7 MR. CASPE: That is not our
8 proposal. Our proposal is to have source
9 control in place as we start dredging.

10 MARK BEHAN: So you would start
11 dredging before source control is completed?

12 MR. CASPE: That isn't what I
13 said.

14 MARK BEHAN: Please make it clear
15 to me. I'm not getting it.

16 MR. CASPE: I said no. We would
17 plan on having source control in place.

18 MARK BEHAN: Completed?

19 MR. CASPE: What are you -- I
20 don't understand.

21 MARK BEHAN: I'm asking whether
22 it's completed and evaluated before you start
23 dredging.

24 MR. CASPE: Well you asked me

1 whether it's completed, the answer is yes.
2 Evaluated? I don't know what that means. Is
3 that a five year program, a ten year program?

4 MARK BEHAN: The benefits, I
5 mean. What are the benefits of it are
6 evaluated?

7 MR. CASPE: What are you
8 proposing?

9 MARK BEHAN: I'm proposing that
10 you look at the benefits of reducing the
11 source before you begin dredging.

12 MR. CASPE: And could you
13 explain -- could you just explain to me what
14 you would propose as far as how long we would
15 study those benefits?

16 MARK BEHAN: You ought to take a
17 look at the monitoring data for a period of
18 time before you begin dredging.

19 MR. CASPE: What period of time
20 do you want me to look at? (Audience getting
21 loud.)

22 MARK BEHAN: I'm sorry?

23 MR. CASPE: What period of time?

24 MARK BEHAN: What period of time?

1 You ought to take a look at it for probably a
2 five year period before you start dredging.

3 MR. CASPE: Okay. So the
4 question is whether we would wait five years
5 after source control or dredging begins.

6 MARK BEHAN: No.

7 MR. CASPE: We would not.

8 MARK BEHAN: Pardon me? The
9 question is still the one I asked you at the
10 beginning and that is, do you plan to evaluate
11 it before you start dredging.

12 MR. CASPE: No.

13 MARK BEHAN: Do you plan to start
14 dredging before the work is completed?

15 MR. CASPE: No.

16 Thank you.

17 The next speaker is John Coughman.

18 MR. CASPE: Thank you.

19 The next speaker is John Coughman.

20 JOHN COUGHMAN: Thank you for the
21 opportunity to address the board.

22 I wanted to respond to my friend
23 Butch Lilac's remarks earlier. I expect it's
24 a good chance that Butch, as the supervisor

1 for his town, speaks for his town. I think
2 there's at least some record to indicate that,
3 while the Board of Supervisors of this county
4 voted unanimously to oppose the dredging that
5 that, in fact, does not represent the, this
6 community. Butch should be aware of the fact
7 that at least one town, the Town of Ballston,
8 I believe, officially -- and I'm kind of
9 disappointed in Butch that his, his
10 hyperbole -- indicated that they did not
11 support the GE position. It isn't that they
12 oppose dredging, they have no position on it
13 at all. And I would just say that in the City
14 of Saratoga Springs, the issue has never come
15 to the City Council. I would be amazed if it
16 passed. I think, in general, the Council
17 would avoid taking any position on the issue
18 at all.

19 And I would also further say that,
20 in terms of this community as a whole, what
21 one finds is a considerable amount of
22 indifference to the issue, and some passion on
23 some sides either way about it. But to
24 suggest that Saratoga County is passionately

1 opposed to dredging, Butch, I am kind of
2 disappointed. That is simply not the case.

3 Appreciate the opportunity.

4 MR. CASPE: Thank you.

5 Next speaker is Derrick Zeh.

6 DERRICK ZEH: My name is Derrick
7 Zeh, Z-E-H.

8 I grew up in Hudson Falls and a
9 good friend of mine lost an older brother to
10 aggressive leukemia who did a lot of fishing,
11 camping on the Hudson River. You can
12 speculate one way or the other.

13 I think PCBs are a big problem and
14 I commend your efforts. I agree with your
15 science, I understand -- and I do know the
16 technology does exist to effectively and
17 safely dredge the Hudson River. There is a
18 lot of skepticism about that technology and
19 the impact it would have.

20 It's sad that people are swayed by
21 misinformation.

22 I support your decision.

23 Thank you.

24 MR. CASPE: Thank you.

1 Next speaker is David Mathis.

2 Next speaker is Paul Lokeman.

3 Next speaker is Christian Bonds.

4 Christian, before you go, let me
5 just name the next ten, please?

6 Donna Grover, Ed Carpenter, John
7 Sims, Bert Heuckeroth, Tanya Posillico, Lisa
8 Rosman, Kim Marsella, Harvey Tallman and Wayne
9 Richter.

10 Sorry.

11 CHRISTIAN BONDS: I'll be very
12 brief. I'm really tired, as probably all of
13 you are, too.

14 My name is Christian Bonds. I grew
15 up in Clifton Park and I now reside in Albany.

16 I strongly support your targeted
17 dredging proposal and appreciate your efforts
18 to educate us all tonight on the clean-up
19 proposal, especially since all of us who live
20 in Upstate New York have been bombarded by
21 misinformation and lies through a media
22 campaign paid for by GE, and from untruths
23 from certain local and state politicians.

24 Generations of engineers in my

1 family have worked for GE. That doesn't mean
2 we don't acknowledge the negative health
3 impact of PCBs and the obvious fact that PCBs
4 do not belong in the river bed of the Hudson.

5 I'm about to start my family, and
6 that's my motivation for speaking to you
7 tonight. I want my child to grow up in a
8 healthy environment. I want my child to be
9 able to enjoy the Hudson River.

10 It's past time to remove the PCBs.

11 Thanks.

12 MR. CASPE: Thank you.

13 Next speaker is Margaret Stein.

14 MARGARET STEIN: Thanks for the
15 opportunity.

16 Margaret Stein, S-T-E-I-N. I am a
17 member of Rensselaer County Environmental
18 Management Council.

19 I support the EPA recommendation to
20 dredge the Hudson River of PCBs. The river
21 will not cleanse its, only push PCBs
22 throughout the food web and disburse it
23 throughout the environment.

24 I have major concerns about the

1 level of pollution which will be deposited,
2 say, in a 50 or a hundred-year flood event.
3 Also, the river must be dredged for
4 navigational purposes. There needs to be a
5 repository for this pollution.

6 The river suffers from a poor image
7 when recreation and fish consumption is
8 regulated due to pollution, PCB or otherwise.

9 If the state's emphasis is for
10 economic development and expansion, cleaning
11 the river is an acceptable way to accomplish
12 this. Fishing could become a major economic
13 and recreational activity. Currently, there
14 are people potentially catching and eating
15 fish containing high levels of PCBs. This is
16 unacceptable.

17 My enthusiasm about the Hudson
18 River is directly affected by the pollution
19 levels. I wish for the dredging to take place
20 so that fish advisories can be lifted sooner,
21 within a possible 10-year timeframe or 20-year
22 timeframe, as opposed to 50, without dredging.

23 I would like to utilize the river
24 to its fullest within my generation, not my

1 child's.

2 One major contentious issue is over
3 where the dredged material will go. It is in
4 the best ecological interest of the river and
5 wildlife for it to be dredged. Why isn't
6 General Electric being asked to landfill the
7 PCBs on land they own? They are willing to
8 monitor levels in the river decades into the
9 future. Why not monitor pollution levels on
10 their own land, instead of an historical,
11 economic and nationally recognized major
12 public waterway?

13 Thank you.

14 MR. CASPE: Next speaker is M.J.
15 Delmonica, Delmonico.

16 Next speaker is Marian Nerr.

17 Next speaker is Marian Pulver.

18 MARIAN PULVER: It is amazing to
19 me that EPA says we heard you, we heard the
20 upper river communities' concerns. There will
21 be no landfills.

22 You would think the upper river
23 communities would be just elated to hear that
24 2.65 million cubic yards will go to Texas.

1 Wrong.

2 We have never, ever remotely
3 suggested that this is an issue. More to the
4 point, EPA has obviously only heard what it
5 wanted to hear. It forgot the rest of that
6 resolution passed by 60-plus upper river
7 communities. We opposed river dredging.

8 So the upper river communities are
9 going to give EPA yet another opportunity.
10 Last night the Town of Fort Edward passed a
11 new resolution, simply titled "We Oppose
12 Dredging of the Upper Hudson River." Tonight
13 other communities are already meeting to pass
14 this resolution.

15 Now, because we, in this room,
16 heard the statement out of your mouth,
17 Mr. Caspe, the EPA listened to the upper river
18 communities regarding landfill.

19 Will someone at the head table tell
20 me why you can't hear our crystal, clear
21 message, when of the upper river communities
22 oppose dredging. Let me repeat. Yes, we, all
23 60-plus communities and many inner county
24 boards oppose dredging of the upper river.

1 Thank you.

2 MR. CASPE: The next speaker is
3 Michael McLaughlin.

4 MICHAEL McLAUGHLIN: Hi, my name
5 is Mike McLaughlin. I'm from the Town of
6 Saratoga. I'm an elected councilman for the
7 Town Board. I'm also -- serve on the Saratoga
8 County Environmental Council with George
9 Hodgson.

10 I'm going to give some of my time
11 to George so he can ask some of the questions
12 that he wasn't able to ask. I also wanted to
13 say that our town board was against dredging.
14 I have mixed feelings. There are people in my
15 community that feel that dredging is
16 necessary, and there's also people that don't
17 feel it's necessary. Unfortunately, I have
18 tried to look at both sides of the issue, and
19 I don't feel that either side has enough
20 information to continue ahead with dredging
21 until they can do it right. Because first of
22 all, you always hear proposed health risks,
23 you always hear might be able to do it, you
24 always hear possibility. It effects the fish.

1 Read the New York State Environmental Council
2 Fishing Guide and you'll find out that that
3 just about every body of water in the State of
4 New York there are many fish that you can only
5 eat one time a month or one fish a week.
6 Well, okay, so let's dredge up the whole
7 state. I don't think that's going to work. I
8 don't think you have enough information.

9 Mr. Hodgson, please come forward --
10 oh, I have one last toast. This came out of
11 the Hudson River tonight. I had to walk out
12 on the ice and chopped through the ice through
13 it. This is Hudson River water. I drank it
14 earlier on film for a friend, and I'm going to
15 drink it for you here. (Speaker drank a
16 bottle of water from the Hudson River.) It
17 tastes very good. A toast to the Hudson. You
18 took it away for 20 years. We don't want it
19 taken away for another 20. Money would be
20 better spent to promote the economic
21 development along the Hudson.

22 MR. CASPE: Thank you.

23 Next speaker is Donna Grover. (No
24 appearance.)

1 Next speaker Ed Carpenter. (No
2 appearance.)

3 Next speaker is John Sims.

4 Is that John coming down? Okay?

5 The next ten, while he is walking
6 down, are Tim Havens, Shannon Belt, Robert
7 Goldman, Chuck Fitzsimmons, Ann Herrick, Doug
8 Reed, Nina Evans, Mary Song, Harrison Downs,
9 and Terry Middleton.

10 Thank you. Sorry.

11 JOHN SIMS: Good evening
12 remaining concerned citizens. My name is John
13 Sims - S-I-M-S. I live outside of Troy. I
14 travel to and from work roughly about 40 miles
15 each way every day, many of those miles along
16 the river with my ultimate destination being
17 General Electric. In my observations as I
18 travel along the Hudson, it tells me only one
19 thing, that the river truly is coming back.
20 The wild life, the abundance of wild life,
21 hawks, I have seen an eagle, it's inspiring to
22 see how far it's come in the last few years.

23 What I would like to do is
24 emphasize a couple of things that have been

1 said earlier. First of all I think a lot of
2 us picked up some of these charts. I would
3 like to emphasize that, as I said before, both
4 the EPA and GE models are virtually identical
5 with the GE model being much less disruptive.
6 And another comment I would like to emphasize
7 was that made by the Mayor of Schuylerville
8 that regardless of the means that's
9 implemented to try and bring the content in
10 fish down to the target level all options
11 being in excess of 67 years, it doesn't
12 warrant in any way the disruption we will have
13 to work through.

14 And maybe one thing I think was
15 said earlier in the beginning of the
16 presentation, it kind of was made that most of
17 the new PCBs entering the river was coming
18 from sediment, I don't think is true. We have
19 seen studies that show that the new PCBs is
20 seeping in from the bed rock. And GE has many
21 programs in place -- I have got to stop. I'm
22 sorry.

23 I would like to say that I hope
24 that, in closing, that EPA will reconsider

1 this very drastic proposal and let the
2 programs in place now that are proposed to run
3 their course.

4 Thank you.

5 MR. CASPE: Next speaker is Bert
6 Heuckeroth.

7 BERT HEUCKEROTH: Good evening,
8 and thank you for the opportunity to speak
9 tonight. My name is Bert Heuckeroth. That's
10 spelled - H-E-U-C-K-E-R-O-T-H. I live in Fort
11 Edward and I have been a resident of the
12 Hudson Valley all my life. I consider myself
13 to be an environmentalist and I am very
14 concerned about the Hudson River. I have been
15 following this problem for 25 years now. I
16 remember when the shad fisheries were shut
17 down. I remember being very upset. Since
18 then I have seen a remarkable recovery and I
19 am very happy about it. All that information
20 that I have been following over the last 25
21 years indicates that that recovery is going to
22 continue. I believe that GE and other
23 manufacturers that have in the past put
24 chemicals in the river should do what makes

1 sense to clean them up. This dredging does
2 not make sense. This dredging project will
3 destroy the habitat of the river bottom which
4 is very ecologically diverse and it will ruin
5 it for years to come. There has not been
6 sufficient scientific data collected to show
7 that the dredging will help at all.

8 I would like to finish with two
9 questions. The first question is, you
10 mentioned that dredging would go 24 hours a
11 day. How would you feel if somebody had heavy
12 machinery operating in your back yard for 24
13 hours a day? The second question is, why
14 won't you wait a few more years and see if the
15 proposal to GE is made to stop the source of
16 contaminants from the Hudson Falls site to see
17 if that works, and if the river does indeed
18 clean itself the way the models predict?

19 MR. CASPE: As far as the first
20 question, I think the question is a good one
21 with regard to diesel engine perhaps running
22 and noise in your back yard, you know, as the
23 dredges move. It's something that we
24 certainly will take -- we have not really

1 figured that fully in, but we will. We will
2 relook at the issue in that regard and we will
3 relook at that concern.

4 With regard to the second issue we
5 believe there is no need to -- we believe that
6 what it is is just one more time we are going
7 to be waiting and we are going to be waiting
8 again to -- and putting off a remedy that we
9 think at this stage of the game is the right
10 remedy. We believe source control is part of
11 a remedy. One way or the other we believe
12 that dredging is required.

13 BERT HEUCKEROTH: Thank you for
14 your time, and please do listen to the
15 concerns of our community.

16 MR. CASPE: Thank you.

17 Tanya Posillico. (No appearance.)

18 Lisa Rosman.

19 LISA ROSMAN: I'm Lisa Rosman.
20 I'm the Coastal Resource Coordinator for the
21 National Oceanic and Atmospheric
22 Administration, and am here to speak on behalf
23 of the Federal Natural Resource Trustees.
24 NOAA and U.S. Fish and Wildlife Service

1 strongly support the removal of PCB
2 contaminated sediment from the upper Hudson
3 River, and commend the EPA for it's progress
4 toward cleaning up the Hudson River. NOAA and
5 U.S. Fish and Wildlife Trustees on behalf of
6 the public to restore natural resources that
7 have been injured by hazardous substances such
8 as PCBs. The Trustees seek permanent
9 protective remedies at superfund sites such as
10 the Hudson River. Sediment removal is the
11 only clean up action that will unequivocally
12 reduce future adverse impact to the Hudson
13 River resources.

14 The Hudson River is a national
15 historical, cultural and environmental
16 resource. Between the late 1940's and 1977
17 somewhere between 209,000 and 1.33 million
18 pounds of PCBs were discharged into the river
19 by GE. Today PCBs continue to be released
20 from contaminated sediments as well as through
21 the fractured bedrocks below Hudson Falls.
22 Many of the natural resources of the Hudson
23 River ecosystem have been exposed to PCBs and
24 many remain grossly contaminated. Current

1 concentrations of PCBs in fish remain high.
2 NOAA and Fish and Wildlife Service agree with
3 the EPA that without an active removal remedy
4 PCB concentrations in fish will continue to
5 threaten public health and natural resources
6 for many decades.

7 EPA and the Trustees have
8 complimentary but different objectives at a
9 hazardous waste site. EPA's efforts focus on
10 cleaning up or containing hazardous substances
11 and protecting human health and the
12 environment. The Trustees assess past,
13 current and potential future harm to the
14 resources and plan restoration action. NOAA
15 and Fish and Wildlife have been working
16 closely with EPA since throughout the remedial
17 process. Since 1977 the federal and state
18 natural resource trustees have also been
19 conducting a natural resource damage
20 assessment. And just to conclude we do have
21 papers on the back table that describe some
22 information about our national resource damage
23 process, and that we strongly support EPA in
24 pursuing dredging of the river.

1 MR. CASPE: Thank you, Lisa.
2 Next speaker is Bill Edelstein.
3 Bill Edelstein?
4 Next speaker is Kim Marsella.
5 The next speaker is Harvey Tallman.
6 Next speaker is Wayne Richter.
7 Let me give you the next 10 before
8 I go onto this 10 first. Oh, this is the end.
9 Dan Colomb, Lisa Banden, Daniel
10 Tagliento, Jennifer Ballard, Michell Stalker,
11 Allan Foster, Sharon Festo, George Goodwin,
12 Vincent Paul Vallone.
13 I'm getting -- I'm up on that next
14 list now.
15 Yeah, I just was getting --
16 Tim Havens?
17 Robert Goldman? We're getting to
18 you. We're getting there.
19 Next speaker is Tim Havens.
20 TIM HAVENS, SR.: Good evening,
21 ladies and gentlemen. My name is Tim Havens,
22 Senior, and I'm the president of CEASE,
23 Citizen Environmentalists Against Sludge
24 Encapsulation.

1 As a remainder, we've been a group
2 of citizens, an unpaid group of volunteers
3 that have been actively opposed to dredging of
4 the Hudson River and encapsulation of PCBs and
5 sediments for 20 years.

6 The Hudson River is part of my
7 past, and today I've brought another part of
8 my past with me here, because at the EPA
9 meeting that you had in Albany today, a press
10 conference, the EPA came clean and stated that
11 two miles below the Rogers Island, in Fort
12 Edward, they were dredging bank to bank. And
13 utilizing both hydraulic dredging and clam
14 shell dredging. It's kind of funny that a
15 week ago today Administrator Carol Browner, of
16 the EPA, very sarcastically, in her press
17 conference announcing her plans for the river,
18 said, "Absolutely would there be no use of
19 Tonka toy type dredging as depicted in the GE
20 ads. It's funny that today, a week late,
21 you're leading out a little more information
22 and that you are going to be using mechanical
23 dredging.

24 We're very, very concerned about

1 this proposal and we're vehemently opposing it
2 and we intend to for a long, long time. We're
3 going to ask you to reconsider it. We feel
4 that dredging of the upper Hudson River will
5 be extremely invasive and definitely is going
6 to cause a lot of harm, there's going to be a
7 lot of risk to the local private land, the
8 farm land, the small business community, and
9 tourism.

10 They say that it won't be shutting
11 down the river and it won't be making it so
12 people can't use it to recreational purposes
13 while dredging's going on. In this world of
14 lawyers, I'm sure that there's no dredging
15 contractor that's going to allow children on
16 jet skis and old men in fishing boats to be
17 out there fishing on the river in the
18 proximity of dredging.

19 I see my time is almost up, and
20 I've got a list of unanswered questions which
21 you probably won't be able to address right
22 here in the next 10 seconds.

23 But in closing I would like to say
24 that dredging 2.65 million cubic yards of

1 river sediment to recover a hundred thousand
2 pounds of PCBs is like buying a 747 to get
3 free peanuts.

4 MR. CASPE: Thank you.

5 Next speaker is Shannon Belt.

6 Next speaker is Robert Goldman.

7 ROBERT GOLDMAN: Good evening.

8 I'm Rob Goldman. I am a owner/operator of a
9 small marine transportation and toy and
10 salvage company located in Troy, New York.

11 And I'd like to tell you first hand
12 that we're running out of water draft and we
13 really do need navigational dredging on the
14 north canal to the summit level. And the
15 question comes up is why, you know, why don't
16 we wait. Well, we can't wait. We're the
17 people that move the equipment that takes care
18 of your infrastructure, your bridges, your
19 dams. We're running out of water draft. It
20 doesn't exist up there.

21 And I noticed on your charts, many
22 of the areas you show as hot spots are areas
23 where have a really big problem with water
24 draft. So we do support your efforts.

1 And I do assume, and please correct
2 me if I'm wrong, that the remediation of PCBs,
3 navigational dredging is contingent upon that
4 removal. Is that correct?

5 MR. CASPE: Yes.

6 ROBERT GOLDMAN: Then we support
7 you.

8 MR. CASPE: Next speaker is Chuck
9 Fitzsimmons.

10 Next speaker is Ann Herrick.

11 Next speaker is Doug Reed.

12 DOUG REED: My name is Doug Reed,
13 and I've been living in southern Washington
14 County for the last 28 years.

15 I'm the director of Hudson Basin
16 River Watch.

17 Hudson Basin River Watch is an
18 association of over 100 schools, environmental
19 groups, and water resource agencies whose goal
20 is to improve the water quality of the Hudson
21 River and all its tributaries through
22 education, community involvement, and
23 stewardship. Basically, we teach people how
24 to -- teach people the science of water

1 quality monitoring and help them carry that
2 information into action.

3 On Monday of last week, just two
4 days before EPA released news of their
5 proposed remediation plan, we convened the
6 eighth annual Clean Water Conference at the
7 New York State Museum in Albany, posing the
8 question, "What should EPA do about PCBs in
9 the Hudson River?" Two hundred and forty
10 students, teachers, and water resource
11 professionals attended to hear 12
12 presentations from middle and high school
13 students from New Paltz to Warrensburg. There
14 were eight statements in favor of dredging
15 PCBs from the Hudson River, two were opposed
16 to dredging, and two conducted surveys of
17 their own communities which were evenly
18 divided and mostly uninformed.

19 Two years ago, a sixth grader from
20 Newburgh reported to us that he learned a lot
21 about the Hudson River during a sampling run
22 from Poughkeepsie to Kingston. He was
23 especially thrilled to learn that PCBs were
24 polychlorinated byphenals, and were not, as he

1 had previously reported in his journal
2 polychlorinated byfemales.

3 Education is critical. Hudson
4 Basin River Watch supports the EPA proposal to
5 dredge PCB contaminated sediments from the
6 upper Hudson River from Fort Edward to
7 Waterford and is opposed to siting any
8 hazardous waste in the neighboring river
9 communities.

10 Thank you.

11 MR. CASPE: Thank you.

12 Speaker is Nina Evans.

13 Mary Song.

14 Harrison Downs.

15 Terry Middleton.

16 Next speaker is Dan Colomb.

17 DAN COLOMB: Hi. My name is I

18 Dan Colomb and I live in Hudson Falls.

19 And I've seen all of the
20 information that GE has put out about the
21 situation, and I came here tonight to try to
22 learn some more on this subject from your
23 point of view. And just going through the
24 publication that you put out a couple things

1 stood out.

2 One, on page 11, after over 20
3 years of studying the PCB situation, we still
4 describe it as possibly causing cancer in
5 humans.

6 It's an awful lot of money to be
7 spent on something that may or may not really
8 cause cancer.

9 In addition, your chart on page 19,
10 which I think has been referred to a few
11 times, clearly states that, no matter what
12 happens here, you'll never get down to your
13 target goal of .05 parts per million. That
14 stands out. I mean, no one should ignore
15 that. There's going to be a huge disruption
16 here and we're not going to achieve our goal.

17 And if you look at the chart that
18 you also put out, doing the source control and
19 monitoring come down to the same level as if
20 you haven't dredged.

21 So, tell me again, why are you
22 going to dredge?

23 Thank you.

24 MR. CASPE: Okay. If I can just

1 respond quickly to those two comments, two of
2 those comments, anyway.

3 As far as why it's called a
4 possible or a probably human carcinogen rather
5 than a definite one, it has to do with animal
6 studies. That's the carcinogenicity of PCBs
7 is really based upon impact on animals. So
8 that's the reason for that.

9 And as far as the issue of reaching
10 target levels, there are different target
11 levels in that analysis. As you look at it a
12 little bit further in that proposed plan, I
13 hope you'll recognize there is a .05 target,
14 there's a .2 target, and there's a .4 target,
15 and they each allow different things to happen
16 at different times. It's not really as black
17 and white as that.

18 And perhaps as we discuss this
19 further over the coming weeks and months we
20 can get into that discussion a little further.

21 The next speaker is Lisa Banden.

22 Next speaker is Daniel Tagliento.

23 DANIEL TAGLIENTO: I am Daniel
24 Tagliento. I'm a resident of Wilton, Saratoga

1 County. I have been a life long -- and I'm
2 proud of it, a New Yorker. I grew up along
3 the banks the first 13 years of my life in
4 Rensselaer, New York. I was well aware of
5 Fort Crailo and the Van Rensselaers, the
6 gateway to the west being the Hudson River,
7 and the Barge Canal. I seen it every day. We
8 played at the river. I lived within 400 feet
9 of it those first 12 years. We seen dead
10 fish, human waste, debris going up and down
11 it. It would go out with the tide and come
12 back in. But I did see it cleared up. I seen
13 waste treatment plants being put it; I seen
14 chemicals not being dumped into the river. We
15 knew it was Tuesday because it was green. We
16 knew it was Thursday because it was reddish
17 yellow. All that, better control of our toxic
18 and non-toxic waste material have been taken
19 care of. That was done in the mid-50's -- or
20 I should say I was witness to and observed
21 that.

22 I'm very thankful that you are
23 taking action because it has been obstructed
24 for years by our elected officials, namely

1 Solomon and now Sweeney. They have been
2 taking orders for GE. GE if they understood
3 the problem from the beginning, we wouldn't be
4 here now. GE is not a good corporate
5 neighbor. They started in 1983. They had a
6 going-out-of-business sale on America. They
7 were given tax breaks to set up all over the
8 country. The only thing that they left behind
9 us was their waste product because them not
10 controlling it properly increased their
11 budget. Today they announce a \$12.7 billion
12 profit. You would think that they would spend
13 some of that in cleaning up the mess.

14 I'm telling you that tourism can be
15 and will be a number one business. How can
16 you tell a fisherman that comes up to Hudson
17 Falls or to Fort Edward and says, you can
18 touch it for one-minute-and-a-half, and then
19 get rid of it. If you happen to be a pregnant
20 woman or someone with a respiratory problems
21 don't touch it at all.

22 We shouldn't be proud to pollute.
23 We should clean it up.

24 Thank you for the opportunity.

1 MR. CASPE: Next speaker is
2 Jennifer Ballard. (No appearance.)
3 Next speaker is Michael Stalker.
4 (No appearance.)
5 Allen Foster. (No appearance.)
6 Sharon Festo.
7 SHARON FESTO: My name is Sharon
8 Festo. I live in the Town of Moreau about a
9 half a mile from the river. Over the last 10
10 years I have had occasion to be involved in
11 Farms First in protection of farm land and
12 learning a lot more than I wanted to know
13 about pollutants and the movement of trash
14 from one place to the other. I am opposed to
15 dredging and dumping, and I'm not crazy about
16 PCBs in the river either. But the problem
17 with the dredging proposal is that this may be
18 a case of where the cure is worse than the
19 disease. There are -- what has been presented
20 are essentially two proposals: Take them or
21 leave them. Either dredge the river or leave
22 it alone. We know as business people, that
23 there is always the do-nothing solution, and
24 there cannot be just only one other solution.

1 Other things that I have heard about, and I
2 would like to know how they fit into your
3 proposal, into your analysis in terms of
4 evaluating what was the best method was I
5 learned from a science teacher that there was
6 a possibility of disarming the PCBs by using
7 bacteria to essentially eat some of the
8 polychlorines because it was the
9 polychlorination that caused the problems.
10 And if you could get them to be monochlorines
11 that they were not toxic. And there was
12 supposedly five years ago, at least more than
13 five years ago, good experimentation involved
14 in these kinds of methods of actually causing
15 the PCBs to be less harmful.

16 When you dredge and dump, you are
17 not solving a problem. You are just moving it
18 some place else, and that's unacceptable. The
19 other solution that I thought of, and I don't
20 understand why it's never been evaluated, is
21 encapsulating them where they lie by
22 encapsulating the PCB deposits or at least
23 some of them in concrete where it wouldn't
24 interfere with the shipping channel. I would

1 like to know what the scientific evaluation is
2 of these proposals, and the one that was
3 mentioned by the gentleman who had worked for
4 former Congressman Solomon and what the cost
5 is and what the environmental benefit is to
6 these proposals as opposed to a dredging.

7 MR. CASPE: Okay. I'll address
8 one and then Doug will address the other. The
9 issue of capping, encapsulating. The problem
10 with encapsulating is if you are going to put
11 something on top of it, you have to get the
12 grade -- the bottom of the river down low
13 enough in order to put that on without
14 changing the hydraulics of the river and still
15 have a channel. You don't want to fill things
16 up, you know, within the river and so --

17 SHARON FESTO: In every spot?

18 MR. CASPE: So what you have to
19 do first is you have to remove material in
20 order to put the material down. So you wind
21 up having to dredge and then put a cap down.
22 So it really doesn't work. It winds up to
23 some degree having the, what we refer to as,
24 the worst of all worlds as far as that goes.

1 The second question you asked was
2 about biological decontamination. I believe
3 Doug can address that.

4 MR. TOMCHUK: With respect to
5 disarming, as you refer to it, generally that
6 has been looked at as dechlorination. Earlier
7 I spoke about that a little bit, and it was
8 describing that. We really investigated that,
9 you know, the natural processes that occur.
10 At this point we don't know of any way to
11 increase those processes to make that
12 remediation process, but what we really found
13 was there is a theoretical maximum to the
14 extent that that could occur within the
15 system, any how, of 26% of PCB mass lost. So
16 that it wouldn't go all the way. It wouldn't
17 solve the problem. In addition, the statement
18 that dechlorination would produce less toxic
19 varieties of PCBs is not necessarily true.
20 There are studies that have shown that, or at
21 least suggest that, some of the non-cancer
22 effects, such as reduced IQ points are
23 probably due to smaller PCBs with less
24 chlorines on them. So you may increase one

1 type of toxicity while you are decreasing
2 another.

3 MR. CASPE: Thank you.

4 George Goodwin.

5 GEORGE GOODWIN: My name is
6 George Goodwin. I have got kind of some
7 simplistic questions. The first one if you
8 did the remediation, if the dredging was done,
9 would it be a clean river after that?

10 MR. CASPE: Do you have a series
11 of questions or do you have just one?

12 GEORGE GOODWIN: No, I have a
13 couple of them, but that kind of leads into a
14 couple of others.

15 MR. CASPE: Okay, well if we did
16 the dredging, would the river be perfectly
17 clean? No.

18 GEORGE GOODWIN: No, I mean
19 reasonably clean.

20 MR. CASPE: We would get to a
21 point where -- it would be at a point where
22 fish would be edible at a more acceptable
23 level, you know, in a very short time period.

24 GEORGE GOODWIN: Okay. I was

1 also wondering are there other bad elements in
2 there? For example, Hercules or CIBA-Geigy
3 was probably their heavy metals and things
4 like that. If you are setting up for
5 dredging, would it not be reasonable to
6 consider holistically the whole river and all
7 of the problems so that you address removing
8 that as well. If you are setting up the
9 equipment for it, shouldn't you look at that
10 and share the expenses with GE, with Hercules
11 or whoever it is who owns that so you are
12 dealing with dredging many, many problems at
13 one time.

14 MR. CASPE: You mean the other --
15 we believe the other contaminants -- I believe
16 we are looking at some heavy metals?

17 GEORGE GOODWIN: In other words
18 if you have had --

19 MR. CASPE: They are largely in
20 the same location as the PCBs. So when you
21 deal with the PCBs for the most part you deal
22 with the -- you deal with metals as well.

23 GEORGE GOODWIN: So you would?
24 So you would be getting rid of a lot of those

1 things?

2 MR. CASPE: Right.

3 GEORGE GOODWIN: So would that be
4 shared with if you were doing other companies
5 as well, or say it was heavy metals --

6 MR. CASPE: We are not at that
7 stage yet. We are proposing a remedy.

8 GEORGE GOODWIN: But I mean if,
9 yes, would that shared then, do you think,
10 with other polluters then?

11 MR. TOMCHUK: I think at this
12 point, as Rich said, we are not at that point
13 yet in terms of making enforcement decisions
14 with respect to the site. First we have to
15 select a final remedy, then we will consider
16 those things.

17 GEORGE GOODWIN: Then another
18 question I had was my grandfather had a farm
19 down in Selkirk, and in the 50's I saw that
20 they dredged the Hudson River for navigational
21 purposes. And his farm went from the Hudson
22 River, there was an island, there was a big
23 bay there and then it went up to the state
24 road. They filled in that bay which is

1 probably several acres, and I know from the
2 Port of Albany and south they did a lot of
3 dredging even though that stuff isn't in the
4 material -- I mean isn't in the river, it was
5 part of the river. Should that also be
6 addressed as a pollutant and be analyzed and
7 looked at?

8 MR. CASPE: We are having
9 discussions with the State of New York, State
10 DEC on just how we might accomplish an
11 analysis of things like that.

12 GEORGE GOODWIN: Okay.

13 MR. CASPE: The first thing we
14 looked at were flood plains on Rodger's Island
15 where we found some problems, you know, and
16 some places where there weren't problems. But
17 there are other issues with regard to the
18 flood plains of the river as well as where
19 dredged material may have been placed that we
20 and the state are in discussion of how we
21 might proceed with analysis of that.

22 GEORGE GOODWIN: And I guess the
23 last question is, is the technology to break
24 down the PCBs so it's kind of an inert thing,

1 or is that too complex, or could the
2 technology be there in the future to be able
3 to do that?

4 MR. CASPE: We haven't been able
5 to find that technology. Nobody has at this
6 stage.

7 GEORGE GOODWIN: Thank you.

8 MR. CASPE: You are welcome.
9 Next speaker -- actually the last scheduled
10 speaker is Vincent Paul Vallone.

11 VINCENT PAUL VALLONE: Good
12 evening and thank you for having us. This is
13 probably one of the best approaches towards
14 finding a decent resolution to a problem
15 involving the communities that are most
16 concerned with it.

17 My name is Vincent Paul Vallone,
18 former resident of Northumberland, Harris
19 Road, West River Road. The river very much
20 was in my past and is still in my future and
21 my children's future. We swam, and did a lot
22 of good activities in there. We did a lot of
23 fishing, a lot of duck hunting. We also
24 abided by laws and regulations. Something

1 that you are supposed to be taught, if it
2 states "do not eat fish, "do not take fish",
3 then don't do it. We need to address the
4 problem with the PCBs. It is a concern. It's
5 there. I don't know all the facts that some
6 of these people know and that you know about
7 if it causes cancer in people, and how many
8 pounds of fish we need to eat. I do know that
9 if we set up a system of dredging consisting
10 of what you spoke of hydraulic clam shell,
11 whatever, operating three shifts a day, you
12 addressed you may look into that, okay. Three
13 shifts a day, some of these communities now
14 days have set ups where they don't even allow
15 noise, you know, at a certain time. You are
16 just going to step in here because you feel
17 that this is the best thing, and you are going
18 to do this, and you are going to make us do
19 it. We use cell phones that cause cancer and
20 everything. Are we going to stop that? It's
21 all our country. Why do we want to take it
22 out of the river and then figure out a way to
23 haul it off and put it somewhere else? The
24 river is not cleaning itself. No, maybe it's

1 not cleaning itself. It's covering itself.
2 It's got to be covering itself. How deep are
3 your cores that you are conducting? That's a
4 question I have.

5 MR. CASPE: Most of the cores --

6 VINCENT PAUL VELLONE: Go ahead,
7 please.

8 MR. CASPE: Most of the cores
9 were between two and three feet.

10 VINCENT PAUL VELLONE: Two and
11 three feet. Okay.

12 How many fish eat two and
13 three feet deep? I don't know. That's not a
14 question to you. Okay, if we stop seepage,
15 wouldn't that, again, do the 67 year plan?
16 And that seems as though it would be a neat
17 thing to do to try and prevent stoppage.

18 MR. CASPE: We agree that it's a
19 neat thing to do.

20 VINCENT PAUL VELLONE: What? We
21 beat that one to death, did you say?

22 MR. CASPE: No, we agree that
23 that's a neat thing to do and we want that
24 done as well.

1 VINCENT PAUL VELLONE: Oh. but
2 you don't want it done before the dredging
3 with the --

4 MR. CASPE: No, we do want it
5 done before.

6 VINCENT PAUL VELLONE: Oh, okay.
7 The last question and it really seems to be --
8 oh, no. On the news today with the bad,
9 severe weather that we had, it broke several
10 transformers in the rain, broken open on the
11 road. Now all those oils that are inside
12 there went -- and I saw it go into our town
13 water ways. Okay. That brings up a good
14 question. If GE would work a little faster,
15 possibly, at plugging, and I think they have,
16 is there or would we have anybody else to
17 share this cost with? And why do we make --
18 I'm an independent contractor. I own and
19 operate a farm with my wife. It is a free
20 country so we are entitled to earn and do as
21 we can try to do the best for ourselves. But
22 why do we have to go solely after GE? There
23 were so many mills in that area that dumped,
24 as the other man stated, and would we as tax

1 payers, as a government, would we still go for
2 such a drastic approach towards dredging it?
3 That's a question, though. Would we do this
4 if we could not lay all the blame on GE?

5 MR. CASPE: The remedy we have
6 selected -- the remedy that we are proposing,
7 we haven't selected any remedy yet, but the
8 remedy that we are proposing has nothing to do
9 with who the responsible party is or will be.
10 We haven't yet named anybody as far as saying
11 we haven't -- well we have named but we
12 haven't ordered anybody at this stage of the
13 game to do anything. All that we are doing is
14 putting out a preferred remedy and that remedy
15 is up for this discussion at this stage of the
16 game. If we finalize that remedy in June,
17 then at that stage of the game we have a
18 decision to make. The decision to make is
19 well now we are up to design. Are we going to
20 design it ourselves or are we going to ask
21 somebody to do it or demand that somebody do
22 that? We are not at that stage yet. We have
23 a long way to go between now and June.

24 VINCENT PAUL VELLONE: Well I

1 think there's a large misconception out there
2 then because there is so much, let's get GE to
3 pay for it. We saw it tonight. We saw people
4 in here with shirts and all kinds of things
5 that say BLAME GE, CLEAN UP YOUR MESS, IT'S
6 TIME. We even had a nice little, sweet little
7 poem. I think we are really throwing out
8 there that we have to blame GE. Can we as EPA
9 and as American people maybe try to change
10 that a little bit and still see if we want to
11 go for such a --

12 MR. CASPE: Well GE has been
13 named as a responsible party.

14 VINCENT PAUL VELLONE: Was it
15 legal when they dumped it? I don't know, was
16 it? Was it legal when they dumped it?
17 (Someone shouted something from the audience.)

18 MR. CASPE: Well he is the last
19 speaker anyway. You don't have to hold that.

20 VINCENT PAUL VELLONE: Thank you.
21 I do appreciate that.

22 I did overdo but --

23 MR. CASPE: Was some of it
24 illegal, yes. Was all of it illegal, it's

1 hard to say. Did some of it come out from
2 other sources beyond legal discharges,
3 perhaps. Okay. It's probably not quite that
4 simple of an answer.

5 VINCENT PAUL VELLONE: All right.
6 So then to say prior to the 70's when we
7 stopped it, to say that it was illegally
8 done -- (Someone in the audience talking over
9 speaker.)

10 MR. CASPE: Do you want to speak?
11 Let him finish.

12 VINCENT PAUL VELLONE: Step right
13 up here when I'm done, please. To say that it
14 was illegally done, like we used to see in
15 movies and things when EPA did get this going,
16 and I'm glad they did because it's needed, it
17 needs to be investigated, but we used to see
18 trucks backing up to ponds and pools dumping
19 and things like that and then they would
20 research it and then they would find the guy
21 was illegally doing this and they would go and
22 the would get him if they could. Was that
23 done to the extent of what we want to dredge?
24 That it was not a legal process? I mean I do

1 a lot of building. I have building codes that
2 I follow.

3 MR. CASPE: I can't -- that's not
4 an issue that I really can debate at this
5 thing here.

6 VINCENT PAUL VELLONE: So it was
7 legal then? The PCB dumping into the Hudson
8 River --

9 MR. CASPE: I kind of answered
10 before. It's not really an exact answer.
11 Some of it was legal, some of it may not have
12 been within the bounds of a permit. A permit
13 would be what makes it legal, but it's really
14 irrelevant to this discussion right now.

15 VINCENT PAUL VELLONE: It's
16 irrelevant.

17 MR. CASPE: If I can -- thank you
18 very much.

19 VINCENT PAUL VELLONE: So -- all
20 right. I appreciate it.

21 MR. CASPE: If I can, at this
22 stage of the day we have gone through all the
23 scheduled speakers. If there's anybody
24 left --

1 MIKE ELDER: I filled out a card.
2 I don't know why my name wasn't called.

3 MR. CASPE: Sorry.

4 MIKE ELDER: My name is Mike
5 Elder. I do work for the General Electric
6 Company. I spell my name E-L-D-E-R. One
7 point of clarification that I think ought to
8 be made relates to this reference to the Tonka
9 toys. The machinery that is shown in the
10 General Electric ad is known as the cable arm
11 bucket mechanical dredge. That is the same
12 dredge that is being used by the U.S. Army
13 Corps of Engineers in the Saginaw River
14 dredging project. The U.S. Army Corps of
15 Engineers, I think you would acknowledge, is
16 the United States government's expert on
17 dredging. So to say that the machinery shown
18 in the GE ad is a Tonka toy is to say that the
19 U.S. Army Corps of Engineers sponsors Tonka
20 toys.

21 MR. CASPE: I actually haven't
22 seen the ads, but I would just ask the
23 question, is the cable arm that's shown in
24 that ad is that an environmental dredging

1 project or is that a navigational dredging
2 project?

3 MIKE ELDER: Absolutely. This
4 was actual footage taken of the Army Corps
5 project.

6 MR. CASPE: No, was it a
7 navigation dredging or and environmental
8 dredging?

9 MIKE ELDER: Yes.

10 MR. CASPE: Well if it was a
11 navigation dredging they use a --

12 MIKE ELDER: I'm sorry. I'm
13 sorry. I misheard you.

14 MR. CASPE: Well, okay, I would
15 have to look at it to understand it myself. I
16 haven't seen it.

17 MIKE ELDER: Let me be clear. It
18 was an environmental dredging project, okay.
19 And I would ask that you look at it, and if
20 you determine that what I'm telling you is
21 accurate, I think it's a point of
22 clarification that ought to be made at the
23 next meeting that you have, and the reference
24 to -- derisive reference to Tonka toys and

1 that sort of thing ought to be clarified.

2 MR. CASPE: Okay. Fair enough.

3 MIKE ELDER: I do have a couple
4 of questions. I'll try to be brief, everybody
5 is tired.

6 MR. CASPE: Do we have a copy of
7 it? We don't get those ads down in the
8 lower --

9 MIKE ELDER: The administrator
10 says she saw it, but we'll --

11 MR. CASPE: The administrator and
12 I don't necessarily share everything we have.

13 MIKE ELDER: Just a couple of
14 brief questions, and then I will sit down. I
15 assume that the information that Ms. Hess
16 referred to as providing support for the
17 duration projection that you made for the
18 prospective length of the project, those
19 assumptions and any calculations that support
20 those assumptions are set forth in the
21 feasibility study, is that correct?

22 MR. CASPE: Yes, that's correct.

23 MIKE ELDER: Okay. I guess the
24 last question I have in the interest of

1 letting everybody go home, I assume that at
2 least one of the reasons for the use of rail
3 transportation is to reduce the amount of
4 truck traffic or at least the perception with
5 respect to the amount of truck traffic. First
6 of all, is that a correct assumption?

7 MR. CASPE: Not necessarily. If
8 you are moving things over long distances, and
9 if you have a rail head, I think we found that
10 certainly on a lot of sites when we are
11 dealing with -- that it's a lot easier, a lot
12 cheaper, a lot more efficient to move material
13 via rail than it is to move it via truck.

14 MIKE ELDER: Well I think one of
15 the things that should be pointed out in an
16 affirmative way is that the material has to
17 get from the point where it's removed from the
18 river to the rail head. And that will involve
19 undoubtedly the use of trucks. Have you done
20 any projections with respect to the amount of
21 truck trips that will be necessary to get the
22 material --

23 MR. CASPE: We don't -- see
24 things we have looked at, we'll have barges

1 transporting sludge and then have rail heads
2 at the facilities themselves. We don't see a
3 lot of truck traffic, no.

4 MIKE ELDER: So your plan calls
5 for the barging of material to the rail head
6 and removal through some sort of machinery
7 directly onto the railcar. And that's support
8 in the feasibility study, that supports in the
9 plan?

10 MR. CASPE: Yeah, remember it's
11 not a full design, obviously, but, yes, it's
12 set forth, yeah.

13 MIKE ELDER: And there will be no
14 truck traffic to remove the material from the
15 point on the shore to the rail head?

16 MR. CASPE: Will there be none?

17 MIKE ELDER: Yes.

18 MR. CASPE: There may be some
19 truck traffic involved. I mean there won't be
20 anything of any major significance. That
21 doesn't mean there won't be some truck traffic
22 involved in some of the operation. You are
23 asking the question as a very -- as an
24 absolute. I don't know whether I can give you

1 that answer.

2 MIKE ELDER: Last question. It
3 really is just a follow-up, and then I will
4 sit down. Is this explicitly evaluated in the
5 feasibility study or are you leaving that for
6 the design phase?

7 MR. CASPE: Yes, feasibility
8 study is, what, four to five thousand pages.
9 We think we got a lot in there.

10 MIKE ELDER: Okay. Thanks.

11 MR. CASPE: Okay. Well thank you
12 all -- oh, I'm sorry.

13 UNIDENTIFIED SPEAKER: That's
14 okay. I wanted to thank you all for the
15 honorable decision that you have made just
16 recently. And I also want to state that I
17 myself am a breast feeding mother, and this is
18 my little girl Lela. And I'm hoping that with
19 my future generations through her, her
20 daughter or her son, she won't have to worry
21 about the risk of PCBs being spread through
22 her womb or her breast milk. So I want to
23 thank you for helping me and my future
24 generations to breast feed safely.

1 Thank you.

2 MR. CASPE: Thank you.

3 Okay. Well, thank you all for your
4 time and your patience. I would just
5 emphasize again this is the beginning of a
6 dialogue. It's far from an end.

7 Thank you.

8 (Adjourned at 11:30 p.m.)

9 * * * * *

10

11

12

13

14

15

16

17

18

19

20

21


22

23

24

C E R T I F I C A T I O N

We, SANDRA L. CAMPOLI and MARY LOUISE STASOLLA, Shorthand Reporters and Notary Publics in and for the State of New York, do hereby CERTIFY that we recorded stenographically the foregoing testimony taken at the time and place herein stated and the proceeding testimony is a true and accurate transcript hereof to the best of our knowledge and belief.



SANDRA L. CAMPOLI



MARY LOUISE STASOLLA