

100054

ORIGINAL

1

PROPOSED PLAN TO AMEND THE RECORD OF DECISION
DELAWARE SAND & GRAVEL SUPERFUND SITE
NEW CASTLE, DELAWARE

RE: Public Hearing

New Castle, Delaware
September 2, 1993

The above matter came on for public hearing at the Carpenter's Union Local 626, 626 Wilmington Road, New Castle, Delaware on the above date, at 7:00 P.M., before Deborah J.W. Moquin, Court Reporter, Notary Public.

DELMARVA REPORTING
Registered Professional Reporters
Suite B, 942 Walker Square, Walker Road
Dover, Delaware 19901
(302) 734-7647

AR500024

APPEARANCES:

UNITED STATES ENVIRONMENTAL PROTECTION
AGENCY

BY: ERIC NEWMAN, Remedial Project Manager
U.S. EPA Region III

Docket Room

841 Chestnut Building, 9th Floor

Philadelphia, PA 19107

UNITED STATES ENVIRONMENTAL PROTECTION
AGENCY

BY: FELICIA DAILEY, Community Relations
Coordinator

U.S. EPA Region III

Docket Room

841 Chestnut Building, 9th Floor

Philadelphia, PA 19107

AR500025

2

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

MS, DAILEY: Good evening; my name is Felicia Dailey and I'm the community relations coordinator for the EPA. I would like to welcome you for coming out this evening.

We have a court stenographer here this evening and she's taking down the record for our meeting.

We are here to discuss the EPA's alternative plan for the clean up of the Delaware Sand & Gravel site. We are planning a 45-minute comment period, which will begin at 7/29 and end at 9/13.

We have a public notice ad which appeared in the Wilmington News Journal, announcing the availability of the proposed plan, and also the comment period at this meeting tonight.

We also have a repository record for the popular proposal plan here at the New Castle office of DNREC. I'm going to assume everybody knows what DNREC is. We also mailed

AR500026

1 over 120 copies to those persons whose names
2 appeared on the mailing list.

3 When you came in this evening, we
4 asked that you sign for the mailing on the sign-in
5 sheet, and the purpose of that is for the mailing
6 list. It is a confidential list that the EPA uses
7 to send out information through the mail to those
8 persons whose names appear on the list.

9 You will notice, once again, that
10 we do have a court stenographer here this evening,
11 and she is taking down the official record of this
12 meeting tonight. All comments and questions from
13 tonight's meeting and those received in the mail
14 will be included in what's called in the official
15 document called Responsiveness Summary, which will
16 appear in the back of the record of decision, once
17 the decision has been made how to clean up the
18 site.

19 After the presentation this evening
20 by Eric Newman, the EPA's remedial project
21 manager, we will open the floor up for your
22 comments and your questions. Please state your

1 names and speak clearly and maybe what we'll do is
2 pass the microphone around if the court
3 stenographer is having a problem hearing us.

4 If you don't feel comfortable with
5 asking your questions publicly, we do have index
6 cards in the back. You can put your questions on
7 there and we will take those at the end.

8 I would like to introduce you to
9 Eric Newman, who's the remedial project manager,
10 and I'd also like to ask you to hold all questions
11 until his presentation is complete.

12 Without further adieu, I'll turn
13 the meeting over to Eric.

14 MR. NEWMAN: We have invited you
15 here tonight to discuss EPA and DNREC's decision
16 to re-evaluate the selective remedy for the drum
17 disposal area at the Delaware Sand & Gravel site.
18 We had previously decided to treat the
19 contaminated soils at the drum disposal area using
20 on-site incineration.

21 There are really several factors
22 that led us to determine that we ought to take

1 another look at that decision and that remedy. We
2 found that contamination had spread a bit further
3 than we had originally thought. More
4 significantly, it had spread into areas that are
5 really difficult to get a shovel into, and we
6 found a considerable number of intact and
7 partially intact drums, where we had originally
8 thought that the majority of them had been crushed
9 before being disposed.

10 In addition, we have now developed
11 an alternative remedy, a different clean-up option
12 that hadn't been evaluated in the original
13 feasibility study. This new clean-up option
14 really includes or employs a combination of two
15 new technologies; soil vapor extraction and
16 bio-remediation, along with engineering controls.

17 We have completed treatability
18 studies which indicate that this combination of
19 technologies will be effective for the drum
20 disposal area, will meet our objectives, and we
21 have identified now -- we have recently finished a
22 new study and we have identified to the community

AR500029

1 that this new option is EPA and DNREC's preferred
2 alternative.

3 We are here tonight to solicit
4 community participation in the final remedy
5 decision. Now, I have got a brief presentation
6 that I would like to go through. I will try to
7 keep it brief. I guess you can be the judge of
8 whether it's brief or not.

9 We'll start out with the site map
10 just to orient ourselves. Of course, we are two
11 miles southwest of New Castle. Here we have the
12 Route 9 intersection with Grantham Lane. You can
13 see Delaware Sand & Gravel is located at the end
14 of Grantham Lane. Also, as you can see, the Army
15 Creek Landfill Superfund site is adjacent to the
16 Delaware Sand & Gravel site, separated only by
17 Army Creek itself.

18 Let's take a closer look at the
19 Delaware Sand & Gravel site. What we think of as
20 the Delaware Sand & Gravel site is really
21 comprised of 27 acres. Previous investigations
22 have found that the majority of wastes were

AR500030

1 disposed of in four discrete or distinct areas.
2 The record of decision that was previously issued
3 identified three separate construction projects
4 that would take place on different areas of the
5 site.

6 The Grantham south area and the
7 inert areas were found to contain primarily
8 construction rubble with mixed industrial wastes.
9 The record of decision stated that we would
10 construct a landfill cap over the Grantham south
11 area and the inert area. This will prevent rain
12 water from landing on the landfill and percolating
13 through the wastes and pulling contaminants into
14 the groundwater.

15 At the Grantham south area, we have
16 already designed and constructed the landfill cap
17 and erected a security fence. At the inert
18 disposal area, we have recently completed the
19 engineering design, and we hope to begin the
20 construction activities early next construction
21 season.

22 What's left is the ridge and the

1 drum disposal area which is going to be the focus
2 of this next discussion.

3 The record of decision said that we
4 were going to excavate those contaminated soils
5 and incinerate them on site. Now, the ridge area
6 was primarily a staging area for the drums that
7 were going to be disposed of in the drum disposal
8 area, where you primarily surface soil
9 contamination. It's not widespread and it's
10 confined to the uppermost 5 feet.

11 The record of decision said that we
12 were going to excavate those contaminated soils
13 and incinerate them along with the materials from
14 the drum disposal area.

15 The drum disposal area was
16 approximately 15 feet deep, just a little bit less
17 than one acre, and thousands of drums containing
18 both liquid and solid industrial wastes from
19 various companies here in Delaware were disposed
20 of in the drum disposal area.

21 When we wrote the record of
22 decision, it was our understanding that the

majority of these drums had been emptied into the pit and then the drum was either crushed in the pit or removed for recycling back to the companies where they had come from.

As called out in the record of decision, our first step in the design project was to begin a pre-design investigation, focusing or centering right around this drum disposal area. It was through this pre-design investigation that we found some additional information that led us to decide that we ought to take another look at whether incineration is really the best technology for this area.

What we found is that we do have a considerable number of intact drums still in that what was 15-feet deep, one acre area, and that adds a considerable amount of complexity to the incineration project. The other thing we found was that the contaminants had leached down from from bottom of the pit, hit the naturally occurring clay layer down about 30, 40, feet below the surface here, and spread out along the clay in all

1 directions and then generally migrated towards
2 this zero clay area, which is basically, a hole in
3 the clay where it "drops into the lower aquifer.

4 I should mention that the red here
5 indicates contaminated soil and the green is clean
6 soil.

7 So, the fact that we have a 5- to
8 10-foot thick layer of contaminated soils right
9 above this clay layer, that has 25 to 30 feet of
10 clean soils above it, also adds to the complexity
11 of the job because we would have to remove 30 feet
12 of clean soil just to get to the contaminated
13 soils.

14 Well, as soon as we found the
15 intact drums, we decided that we had to take an
16 action there to prevent the continued migration of
17 these contaminants from the drum disposal area
18 right away, before we can resolve this final
19 remedy decision. We decided to install a slurry
20 wall around the perimeter of the drum disposal
21 area as an interim action.

22 Now, a slurry wall is a vertical

clay wall that's 3-feet thick which extends from the surface down to the underlying naturally occurring clay layer, and connects in with that clay layer. The slurry wall, this clay wall, will control migration of contaminants from the drum disposal area.

You can see that we decided to put the slurry wall not just around the drum disposal area proper, the one acre containing the drums, but around the area that would include the contaminated deep layer, the deep contaminated layer.

We have also attempted to isolate this zero clay area. Now, this is a cross-section. Here I have a bird's eye view. You can see that it's not to scale, but you can get the idea that it goes around the drum disposal area and you can see that there's a partitioning wall that will attempt to isolate this zero clay area.

Now, a group of companies that have been identified as potentially responsible

AR500035

1 parties, at the Delaware Sand & Gravel site, have
2 agreed to design and construct the slurry wall.
3 In fact, we have already begun the design and we
4 are nearing completion. We expect to begin
5 construction of the slurry wall, I hope, this
6 fall, and that construction should last
7 approximately 8 months.

4
8 This same group of companies hired
9 a team of scientists and engineers to develop an
10 alternative remedy for the drum disposal area,
11 taking into consideration current understanding of
12 the site conditions. This team, known as the Blue
13 Ribbon Panel, developed this combination of
14 technologies that included soil vapor extraction
15 and the bio-remediation along with engineering
16 controls. They presented the proposal to EPA and
17 DNREC.

18 We evaluated the proposal very
19 carefully, and decided that based on its technical
20 merit, that a focused feasibility study was
21 warranted that would compare the incineration
22 technology, as it would have to be modified to

AR500036

1 meet the current understanding of the site
2 conditions, with this alternative that they've
3 developed.

4 Now, during the feasibility
5 study --

6 MS. DENISON: Question; who would
7 do the quality control of the slurry walls?

8 MR. NEWMAN: I'll take all your
9 questions at the end, if that's all right. I
10 promise I'll get back to that later.

11 During the feasibility study, what
12 we're really trying to do by focus or otherwise,
13 we're trying to identify our objectives, compare
14 our alternatives, see which alternative best meets
15 our objective, basically.

16 In this case, our remedial
17 objective is to first get the drums out of the
18 ground and then protect the groundwater in the
19 vicinity of Delaware Sand & Gravel, so that in the
20 future, it can safely be used as a drinking water
21 source. To do this, we need to remove, destroy or
22 contain the contaminates that are in those soils

AR500037

1 to prevent them from continuing to leach into the
2 groundwater.

3 Now, EPA uses a very deliberate
4 process when comparing these remedies that include
5 9 criteria. The pull-out sheet in the proposed
6 plan that you were handed as you came in or maybe
7 even received at your home, if you were on the
8 mailing list, details the 9 criteria that we used
9 to make this decision.

10 Now, let's take a look at the
11 alternatives that were evaluated. I've got a
12 diagram here; I'm going to try to narrate what we
13 would do in chronological order, how it would
14 occur.

15 The first step, of course, would be
16 to complete the installation of the slurry wall.
17 The interior of the slurry wall would be
18 de-watered. Right now, we have a 3- to
19 5-foot-thick layer of water that is right above
20 that clay layer. That would be removed.

21 After the de-watering, we would
22 excavate not just the area that contains the

AR500038

1 drums, but we would excavate all the way down to
2 the clay layer and include all the area within the
3 slurry wall. We would do our best to separate the
4 clean soils from the dirty soils so that we are
5 only incinerating dirty soils, as it is fairly
6 expensive per ton to incinerate soil.

7 The drums and the soils would be
8 incinerated on site. After the materials went
9 through the incinerator, they would be sampled and
10 most likely re-deposited back within the slurry
11 wall. Then, a landfill cap would be constructed
12 over the area that would tie into this slurry wall
13 and connect in with this clay layer so we would
14 isolate the area.

15 Now, we expect that this remedy
16 would take approximately five years to complete,
17 and that's assuming that there are no
18 administrative delays, in siting in incinerator.
19 The cost estimate for this project, the
20 incineration project, is approximately \$70 million
21 dollars.

22 Then, we have alternative 2, which

AR500039

1 is the new alternative; and again, I'm going to go
2 through it in a chronological order of how it
3 would occur.

4 After completing construction of
5 the slurry wall and the interior is de-watered, we
6 would excavate only the area -- only one-acre area
7 that contains the drums down to approximately 15
8 to 18 feet.

9 Those drums would be sampled and
10 sent for off-site treatment or disposal. The
11 contaminated soils that come up with the drums
12 would be temporarily stockpiled while we construct
13 perforated piping into the excavated pit.

14 Now, the majority of contaminants
15 at the drum disposal area are organic contaminants
16 and approximately 80 percent of the mass of the
17 organic contaminants are what's known as volatile
18 organic contaminants. What a volatile contaminate
19 is, it's one that is easily evaporated; it easily
20 moves from liquid into gaseous state.

21 So, what we would do is, after
22 putting the contaminated soils back into the pit

1 over the perforated pipe, we would pull the air
2 through the perforated pipe pulling air through
3 the soils, stripping "those volatile contaminates
4 off the soils, and then pulling them up to the
5 surface, where they would be captured in some sort
6 of an air control device. The materials that are
7 captured in the device would be sent off-site for
8 treatment or disposal.

9 When we pull the air through the
10 soils, at the same time, what we'll be doing is,
11 because oxygen is part of air, we will be pulling
12 oxygen into the soils. There are naturally
13 occurring micro-organisms right now at the drum
14 disposal area that are, in effect, feeding off of
15 the contaminates that are in the pit.

5 16 These micro-organisms actually use
17 the contaminates as a food source because they are
18 buried in the soil, they do not get sufficient
19 oxygen. They respire just as we breathe -- well,
20 not just as we breathe, but they also use oxygen,
21 and it's the lack of oxygen that prevents these
22 micro-organisms from proliferating.

1 While we're pulling the air through
2 and stripping the volatile organic contaminants,
3 we will also be promoting the growth of
4 micro-organisms in the ground. Now, the
5 micro-organisms don't just degrade volatile
6 organic compounds, but they also work on
7 semi-volatile organic compounds.

8 As I mentioned before, we have
9 completed a treatability study. We have actually
10 taken soil samples from the drum disposal area.
11 We have brought them back to the lab and seen the
12 micro-organisms grow in the lab. So, we know
13 they're there.

14 We have pulled the air out of the
15 ground and we've measured the amount of oxygen in
16 the gas and we've found that it's low. So, we
17 know that these organisms are being deprived of
18 oxygen.

19 So, we completed the treatability
20 study and the treatability study indicates that
21 this combination of technologies, of soil vapor
22 extraction and bio-remediation will work.

1 Sometimes you will hear folks call this
2 combination of technologies bio-venting.

3 Now, so far, I have just mentioned
4 what's going to happen to contaminates up in the
5 one acre 15-foot area. Similarly, we will be
6 installing vertical air extraction wells. They
7 are pipes that are perforated down in the area
8 where we have the contaminated soils. So, we will
9 be pulling air through those lower soils also and
10 stripping volatiles and promoting the growth of
11 microbes.

12 We expect that this technology
13 would take approximately 6 years to meet our
14 treatment goals. Now, the majority of the
15 contaminates that are found in the drum disposal
16 area are readily degraded and we would be able to
17 meet our treatment goals for those contaminates in
18 one or two years. Other contaminates are more
19 resistant and may take longer.

20 We do think that we can meet the
21 treatment standards within about 6 years. The
22 total cost of this remedial action is

AR500043

1 approximately \$26 million dollars; still not small
2 potatoes.

3 Now, let's take a quick look at the
4 two remedies side by side. In both cases, we'll
5 construct the slurry wall, de-water the interior.
6 In the case of the on-site incineration remedy, we
7 will be excavating not just the drums, but also
8 all the contaminated soils, while in alternative
9 2, we'll leave the majority of the contaminated
10 soils in place where we will treat them using the
11 soil extraction and bio-remediation technology,
12 and then in both cases, we will place a cap over
13 the surface when we're done.

14 You can see that the cost of
15 alternative 1 is approximately \$70 million; the
16 estimated cost of alternative 2 is approximately
17 \$25 million dollars, and in both cases, the time
18 to complete the job is 5 or 6 years.

19 So, I just want to take a quick
20 look at the 9 criteria that we do use in comparing
21 these alternatives, and then we'll get to
22 questions and answers, well, questions and I hope,

AR500044

1 answers.

2 The first two criteria are known as
3 threshold criteria and they're really yes or no
4 answers. Each alternative has to meet these two
5 criteria or we don't go any further in our
6 feasibility study. Overall, protectiveness and
7 compliance with all appropriate requirements,
8 regulations, in both cases, we got a yes answer.

9 When we take a look at balancing
10 criteria, the long-term effectiveness, reduction
11 of toxicity, mobility, volume through treatment,
12 short-term effectiveness, implementability and
13 cost, with the exception of cost, they are very
14 close. They graded out very close in each case.

15 Long-term effectiveness and
16 reduction of toxicity, mobility, volume through
17 treatment, grades out slightly higher in the
18 on-site incineration. Short-term effectiveness,
19 implimentability grades out slightly higher for
20 alternative 2.

21 Both of the alternatives meet our
22 objectives, although alternative 2 does so at

AR500045

1 considerably less cost. EPA has identified
2 alternative 2 as our preferred alternative.

3 The State has been working closely
4 with us all along and they have also concurred
5 that alternative 2 appears to be the better, the
6 most appropriate of the two, and we are here
7 tonight to solicit community participation and to
8 see what the community feels about EPA and DNREC's
9 decision to revise the selective remedy at the
10 drum disposal area, from on-site incineration to
11 this alternative 2, which is a combination of soil
12 vapor extraction, bio-remediation and engineering
13 controls. Felicia?

14 MS. DAILEY: Okay; I would like to
15 go to questions and comments. As we stated
16 before, there is a stenographer present and she
17 needs to hear your name. If you feel comfortable
18 with that, please state your name and your
19 question or comment clearly.

20 MARTHA DENISON: Well, let's start
21 with mine. I'm very concerned with the quality
22 control from start to finish, but that wall is

1 going to be left there for a very long time to
2 come, and so the control of that is what really
3 worries me and also the basic materials to make
4 sure that, you know, that it is not only going to
5 withstand the treatment, but the long-term usage.

6 MR. NEWMAN: Right; if I understand
7 your question correctly, it who's --

8 MS. DENISON: What's in it and
9 who's responsible?

10 MR. NEWMAN: Okay; a slurry wall is
11 a clay wall that has the soils that are naturally
12 there are mixed with a very fine clay, known as
13 Benetite that -- I hate to say cements, but it
14 sort of cements the materials together to create
15 an impermeable barrier.

16 We do a considerable amount of
17 in-office work in terms of specing out exactly
18 what the materials are that we will be using.
19 Then, during the engineering and design, we take
20 those materials that we have speced out and we do
21 laboratory tests. We actually make a mini wall,
22 place water next to the wall, we apply a bit of

AR500047

1 pressure and see how much moves through.

2 So, in the specifications, we
3 developed an acceptable spec. Then, in the
4 laboratory, we confirm that we're going to meet
5 that.

6 So, as we are building the wall, we
7 are continuing to do quality control checks and
8 confirm that we are getting the in-field results,
9 just as we did in the laboratory.

10 Now, the way this slurry wall
11 works, right now, okay, once you de-water the
12 interior of the wall, what you do is, you create a
13 positive grading inside the drum disposal area.
14 If you took a paper cup with just a couple little
15 holes in the paper cup, and pushed it down into
16 your bathtub, not so far down that it would go
17 under water, but just a bit, water would seep into
18 into holes, into the cup, rather than out.

19 By de-watering the interior of the
20 wall, any water that moves across the wall is
21 going to tend to move into instead of out of the
22 slurry wall. I know that goes a little further

AR500048

1 than the scope of your question, but --

2 MS., DENISON: No; as a matter of
3 fact, it doesn't go further than my question. The
4 other part of my question is, for many of us, we
5 have worked on water problems for years. You have
6 got some folks here tonight who have been through
7 a lot.

8 We have tidal waters and we have
9 very high water tables around here. So, the flow
10 of water and erosion also is a very serious
11 matter. Anybody around here who has concrete
12 blocks in their house knows how much water manages
13 to sit around New Castle. I mean, it's a very
14 serious problem and just the times we get severe
15 storms for days on end and there's high tides,
16 high waves, plus the drainage also, you know, your
17 storm drainage, and that kind of erosion because
18 it brings in so many chemicals and street matter
19 and things like that is really a serious worry.

20 I mean, there are a lot of drainage
21 problems in this area to begin with. The County
22 drains a lot of storm drainage just right around

AR500049

1 this area where we are here and we have some very
2 large raw sewage lines and pumping stations along
3 this area too. It's an everyday thing; it's not
4 something that none of us know anything about.

5 That kind of destruction can happen
6 when we least expect it.

7 Would there be some type of sensors
8 that would be buried with this wall or is it
9 strictly a go in, dig and check it out once in a
10 while thing?

11 MR. NEWMAN: No; we'll have
12 monitoring wells, known as piezometers just to
13 sample the water levels in the area.

14 In fact, New Castle County has been
15 monitoring water levels within the vicinity of
16 Army Creek and Delaware Sand & Gravel for the last
17 two decades.

18 MS. DENISON: Who will be doing the
19 monitoring?

20 MR. NEWMAN: We hope, the way the
21 Superfund program is set up, the Government
22 expects the companies who were responsible for

AR500050

1 placing the wastes there to take the burden of
2 controlling them or mitigating the situation.

3 We have yet to do so, but we fully
4 expect to enter into a legal agreement where the
5 companies who have been responsible for disposing
6 of the compounds will do the monitoring with our
7 very close supervision. So, we expect them to
8 take the financial burden and actually do the
9 work.

10 EPA and DNREC will continue to
11 watch them, monitor them, and make sure that it's
12 done in compliance with the specifications. So,
13 before they do anything, everything is spelled out
14 and then we do spot checks to make sure that
15 everything is going according to plan.

16 MS. DAILEY: Anymore questions?
17 Yes, sir?

18 CHRIS ROBERTS: I'm Chris Roberts,
19 New Castle County Council. We had this problem
20 several years ago over in Tybout's Corner.

21 With alternative 2, the soil vapor
22 extraction and bio-remediation, will the natural

AR500051

1 bacteria be the ones which will be disposed with
2 the waste and this other bacteria? And also, if
3 during this process, you introduce that bacteria
4 and find out that's not doing the job, while
5 you're monitoring the situation, will be you be
6 interested in other --

7 MR. NEWMAN: At this point, we
8 expected to just use the naturally occurring
9 microbes that are indigenous to that area. Our
10 treatability studies show that we don't need to
11 augment the good bacteria that are there at this
12 point, but during the remedial design, we'll be
13 looking at all the potential options.

14 VINCENT DELLAVERSANO: I'm Vincent
15 DellAversano, owner of Delaware Sand & Gravel.

16 Question 1: How much further have
17 you guys pushed contamination with all your
18 studies that you've been doing?

19 I have got 6 containers or 7
20 containers of trash up there, sitting up there in
21 water, in a concrete lined pit. I've got 100
22 drums sitting on the ground from your studies.

1 All your studies when they dug up 1,700 drums,
2 they backfilled it, bang, never capped it off as
3 good as it was before.

4 How much further have you people
5 pushed the contamination?

6 MR. NEWMAN: No further.

7 MR. DELLAVERSANO: No further? In
8 other words, it's exactly where it's been?

9 MR. NEWMAN: We have not pushed the
10 contamination any further. The drums that are out
11 there right now contain PPE, personal protection
12 equipment, the Tyvek suits that the guys were
13 wearing --

14 MR. DELLAVERSANO: They're the ones
15 on the ground.

16 MR. NEWMAN: They're the ones on
17 the ground. The drums that are in the roll off
18 containers which are sitting on the concrete
19 pads --

20 MR. DELLAVERSANO: Full of water.

21 MR. NEWMAN: -- full of water, are
22 double-contained drums.

1 First, we took the drum out of the
2 soil, then we put in an over pack and then we took
3 the over pack and placed it in a roll off and then
4 we placed the roll off on a concrete pad.

5 Yes, right now, the concrete pads
6 have water sitting in them.

7 MR. DELLAVERSANO: That's had water
8 since it has been built.

9 MR. NEWMAN: Right; but it has not
10 had contact with those drums whatsoever.

11 I'll clarify; the drums that we
12 pulled out of the ground are not in contact with
13 the water.

14 MR. DELLAVERSANO: I beg to differ
15 with you. They're in six inches of water.

16 MR. NEWMAN: But there are three
17 levels of protection between the drum and the
18 water, but certainly, the whole thing is sitting
19 in the water, yes. That is something that we are
20 going to move; that's not a permanent situation
21 that they are sitting out there. But right now,
22 contamination has not moved any further as a

1 result of our activities.

2 MS., DENISON: Where else has this
3 second procedure been used successfully?

4 MR. NEWMAN: The soil vapor
5 extraction method and bio-venting?

6 MS. DENISON: Yes.

7 MR. NEWMAN: There were about two
8 dozen different sites in the country, primarily on
9 military bases where they have jet fuel spills.
10 That's where we have really got a lot of in-field
11 data.

12 MS. DENISON: Well, you know, I'm
13 not big on the burning off, the incineration, to
14 begin with, but what concerns me is you are only
15 going to go 15-feet deep with this whole project;
16 correct?

17 MR. NEWMAN: No, not completely
18 correct. Let me put that one slide back on the
19 projector.

20 MS. DENISON: All right.

21 MR. NEWMAN: This is alternative 2;
22 the excavation will only go 15- to 18-feet deep,

AR500055

1 to the bottom of where the drums are located. In
2 that hole, we will install horizontal perforated
3 piping and that's the way we'll treat the soils
4 that are placed back in the hole. But we will, in
5 addition to that, be installing these vertical
6 wells that are -- we tried to show that where
7 these hash marks are where the pipe will be
8 perforated.

9 So, we will also pull a vacuum on
10 those pipes so air will also be moving through the
11 soils that are below the drum disposal area and
12 along the clay area.

13 MS. DENISON: Oh, so right down the
14 wall?

15 MR. NEWMAN: Right; all the way
16 down. What we're looking at is treating these
17 soils without ever moving them, just by putting
18 the wells down, pulling the air through the soils.
19 But the soils that come out, you know, we are
20 going to excavate the drums. It is not
21 100-percent drum matter. There will also be a
22 considerable amount of soils that are excavated

AR500056

1 along with the drums. That contaminated soil,
2 once we get the horizontal piping constructed,
3 will be placed back in the excavation.

4 Another thing that I didn't point
5 out is, that the relatively small amount of
6 contaminated surface soils in the ridge area, will
7 also be placed in the excavation area. So, that's
8 the way we'll be handling both of these areas.

9 ROD DENISON: The incineration
10 option, how will smoke stacking emissions be
11 handled to prevent air pollution as a result of
12 the burning of contaminated material?

13 MR. NEWMAN: With the incineration
14 technology, you measure off gases, primarily CO2
15 that's coming off of the stack. So, there would
16 be continuous monitoring that has, in fact, an
17 automatic shut-off that you set at safe,
18 acceptable levels and if the continuous monitoring
19 device detects that there is an excursion, it
20 shuts the unit down.

21 MS. DAILEY: Any other questions?

22 MS. DENISON: How much water do

1 they figure will be, at any given point in time,
2 involved in this,,,say. the second alternative?

3 MR. NEWMAN: Water? Are you
4 talking about the water that will be removed from
5 the interior of the slurry wall?

6 MS. DENISON: I'm talking about the
7 water that's removed, the water that has to be
8 cleaned when it is taken out and the water that
9 will be coming in naturally periodically; so, the
10 whole site?

11 MR. NEWMAN: That would be
12 determined during the engineering and design
13 stage, as far as how much will move across, but
14 it's really not much at all.

15 We expect that when we do the first
16 removal, we're looking at 680,000 gallons that
17 would be removed for treatment with this treatment
18 plan. That's a one-shot deal.

19 Then, we will continue to monitor
20 how much water is in the interior. We are still
21 working out the details, but if it got above a
22 certain level, then we're looking at going in and

1 looking at another removal action.

2 Once, we get the wells installed, a
3 landfill cap will be constructed across the top
4 here. That's the green area. What we're talking
5 about there is a multi-layer cap with a
6 geo-synthetic membrane and clay. What that does
7 is, it allows the rain, of course, to land on the
8 landfill and then it runs off of the landfill and
9 it's clean. It never comes in contact with the
10 contaminates.

11 It sort of encapsulates this unit
12 and then doing the soil vapor extraction and
13 bio-remediation, also known as bio-venting, within
14 this chamber.

15 MS. DENISON: What will happen to
16 the the air coming out that has to be cleaned?
17 Because I mean we live in a area with not only
18 chemicals in the ground, but enough chemicals in
19 the air to make us all sick periodically.

20 I mean, what do you see as being
21 successful in this? I mean, obviously, not all of
22 it will be cleaned. What will happen -- is air

AR500059

1 going to be pushed back down into the ground after
2 it has been cleaned? Is it going to be let out
3 into the atmosphere? What's going to happen to
4 it?

5 MR. NEWMAN: The off gas vents will
6 be monitored. The State of Delaware and the
7 Federal Government has a number of regulations
8 that control air emissions and the majority of
9 those, if not all of them, are identified in the
10 proposed plan under the section entitled,
11 "Compliance with ARARs."

12 MS. DENISON: So, it's not going to
13 be really cleaning the air as it comes out; it's
14 just going to be escaping into the air?

15 MR. NEWMAN: No, no; we will meet
16 safe standards. If necessary, it's more than
17 likely that an air filter will have to be placed
18 on the off gas vent. It will be captured in the
19 filtering unit and then the materials that are
20 captured in the filtering unit, would be sent
21 off-site for treatment and disposal.

22 Now, in the event that we have

AR500060

1 micro-organisms doing the majority of the work,
2 see that's the benefit of the bio-remediation over
3 the soil vapor extraction. The micro-organisms
4 are actually performing the treatment in place.
5 Soil vapor extraction, you're removing it from the
6 soil, capturing it, and sending it for off-site
7 treatment. The bio-remediation portion of it
8 they're actually degrading it in place.

9 So, with the bio-remediation,
10 during the remedial design and beginning of the
11 operation, what would happen is, you would treat
12 the system to try to encourage as much as possible
13 the degradation in place. We also are interested
14 in completing this action as soon as possible and
15 the soil vapor extraction will accomplish it
16 quicker, maybe not more clean, but quicker.

17 MS. DENISON: Well, one thing that
18 concerns me, I don't know very much about this
19 type of thing, but my understanding is, you are
20 also running chances for fires and things like
21 that in a site like this, if you do it the way
22 like for the second program.

AR500061

1 You know, around here, we've had so
2 many problems with chemical wastes at the Raytheon
3 Plant right down the road here, Vesco Chemical,
4 we've had serious, serious problems. We know what
5 it's like to have like fires and explosions as
6 well as severe air pollution and water problems.

7 So, I mean, what kind of danger are
8 you talking about around the area? Not only in
9 the emissions and how close people would be
10 affected, but how about the chance for fire and
11 explosion? You're talking about a lot of gases.
12 If you are talking about biodegradable, you're
13 talking about gases being emitted, just from that
14 process too.

15 MR. NEWMAN: In fact, we're going
16 to be encouraging the gases to be produced, and we
17 are going to be ready for them. We're going to be
18 capturing them.

19 The actions that we're taking are
20 encouraging these contaminants to be moved from a
21 liquid phase into gas so we can capture them, and
22 as part of every remedial design at every

AR500062

1 hazardous waste clean-up, we have a detailed
2 health and safety and contingency plan. So, all
3 of these things are looked at in excruciating
4 detail.

5 MS. DENISON: Well, give us an idea
6 of how close -- you know, we have developments
7 just on the other side of that and there's the
8 town over here. Give us an idea in facts, actual
9 facts about what the danger area is going to be
10 for this, not just for incinerator, but for the
11 second alternative.

12 MR. NEWMAN: Well, we don't believe
13 there's going to be a danger to the community or
14 we would not be proposing this action whatsoever,
15 as far as explosions or something of that sort.

16 I just put this slide back up
17 because I just want to point out that we have
18 Mr. DellAversano's home right here by the south
19 area and we have another home in this area located
20 right here.

21 Every action that we take, we have
22 their safety in mind and all of our actions are

1 going to be geared so that it's safe not only for
2 the State, but for these folks that are living
3 adjacent to the Superfund site.

4 MS. DENISON: You didn't give me
5 any facts about how you are proposing to do that.

6 MR. NEWMAN: What was your
7 question, specifically?

8 MS. DENISON: Is it done by the
9 monitoring of gases? Is it done by watching how
10 the soils are handled as they're removed?

11 I mean are these things that have
12 been tested in other areas that we can know they
13 have had some success? Not just the jet fuel
14 site, we're talking about other types of chemicals
15 here.

16 MR. NEWMAN: Every action that we
17 take at the site is with a tremendous amount of
18 health and safety considerations. We don't take
19 any action on a hazardous waste site without fully
20 considering the potential impact to the on-site
21 construction workers and the local community.

22 We measure -- you know, we will

AR500064

1 continually monitor the gas that comes off, we
2 will continually monitor every aspect of the
3 activity.

4 I don't know if you want me to give
5 you a number or what?

6 MS. DENISON: I guess I'm looking
7 for whatever you have to offer.

8 MS. DAILEY: Let me just interject
9 something here. Maybe to make it clearer, the
10 site and safety contingency plan is developed for
11 each site so that if at this time, if you're
12 asking for specifics, it sounds like if, if I
13 understand you correctly --

14 MS. DENISON: Well, anything that
15 was used anyplace else that we could use as an
16 indicator, anything similar.

17 In other words, we don't want a
18 clean and a poke here; we just got done fighting
19 Raytheon plant down the road here, we've had a
20 chemical plant blow up down there by the site. I
21 mean, we are overwhelmed around here.

22 You've got the fuel down the other

AR500065

1 end of the County. You've got the oil company
2 blowing off emissions; we've got all kinds of
3 problems here.

4 MS. DAILEY: Can you give me an
5 example of like what was done at some of the other
6 sites?

7 MR. PETER LUDZIA: My name is Peter
8 Ludzia; and I work for EPA also. I think your
9 question relates to -- it sort of deals with a
10 number of different issues.

11 MS. DENISON: It does.

12 MR. LUDZIA: Part of it is what are
13 we doing here, what are some of the specifics with
14 regard to what we're doing at this site.
15 Obviously, your concern is right there.

16 MS. DENISON: Sure, sure.

17 MR. LUDZIA: What Eric has eluded
18 to is the fact that for every site, we develop a
19 site-specific health and safety plan.

20 Now, the plan we developed for this
21 site is going to be different than, you know, the
22 Army sites, the Federal facility sites because

AR500066

1 here we have a different mix of contaminants.

2 MS., DENISON: Obviously.

3 MR. LUDZIA: So, we're going to be
4 developing a site-specific plan. Eric eluded to
5 the fact that throughout any activities on the
6 site, when they're in there digging up the drums,
7 there will be continuous monitoring. There's
8 concern for the residents; there's concern for the
9 people who are actually in the pits.

10 So, clearly in dealing with those
11 drums, there will be continuous monitoring looking
12 for explosive gases, oxygen levels, anything that
13 might cause a problem for the workers or the
14 people in the surrounding areas.

15 So, I mean you have to sort of --

16 MS. DENISON: So, really there
17 isn't anything here that you can give as an
18 example and that's what is making me very
19 uncomfortable.

20 MR. LUDZIA: We have used these
21 health and safety plans and we can take them --

22 MS. DENISON: That is not what I

AR500067

1 mean. It is such a mixture of chemicals. That's
2 what I'm concerned about. There are already so
3 many chemicals in the air around here.

4 MR. LUDZIA: Every Superfund site
5 really has a different mix of chemicals; so, I
6 think it would be very difficult to come up with
7 another site in say another state that has this
8 same mix of chemicals.

9 MR. NEWMAN: Before Mr.
10 DellAversano makes his statement, we did, in
11 addition to treatability studies, we did a
12 literature search on the soil vapor extraction and
13 the bio-remediation technology throughout the
14 Country, and it is, I believe an appendix to the
15 feasibility study that is in the administrative
16 record, where we can take a look and see other
17 areas that we thought were similar to the Delaware
18 Sand & Gravel site. There were some other sites
19 that we took a look at in determinating whether
20 this was a viable plan for Delaware Sand & Gravel.
21 That is right at DNREC's office on Grantham Lane.

22 MS. DAILEY: You can go in and read

1 that document.

2 MR., DELLAVERSANO: What I wanted to
3 tell you is, most plans will put out methane gas.

4 MS. DENISON: Oh, I know that.

5 MR. DELLAVERSANO: They've got
6 almost every landfill that's been capped or buried
7 and there's methane gas coming off of it.

8 If they find any quantity of
9 methane gas coming off it, they usually set up an
10 automatic burning system which will burn that gas
11 off, causing no explosions, no fires, no nothing.
12 They're all up the turnpike in Jersey at exit 7
13 there's a big burner there, there's one right up
14 at Cherry Island; so, they're all set up to do
15 that.

16 MS. DENISON: That's not what
17 bothers me; it's the fact that there are so many
18 other chemicals involved there. It's not just
19 like a regular landfill.

20 So, you're talking about also
21 burning off other chemicals that are going to be
22 around for years. So, I think that's a terrible

AR500069

1 mixture of chemicals.

2 MR. NEWMAN: There's no doubt about
3 the fact that the "mixture of chemicals makes the
4 drum disposal area more complex than perhaps some
5 of the other sites.

6 MR. DELLAVERSANO: We just put them
7 all in one place; everybody else scatters them all
8 over the place. The same chemicals are in
9 Llangollen Landfill and Tybout's Corner. They're
10 just not dealing with them. They're buried
11 separately; they're scattered all over, which will
12 come out a hundred years from now.

13 I don't care how they cap them.

14 MS. DAILEY: Any other questions or
15 comments?

16 ANTHONY DELLAVERSANO: I've been on
17 sites during excavations. I think you guys have
18 excavated at least three times over there. What
19 they do is, they set up air monitoring stations
20 all around the place.

21 Talking not only to the people that
22 work for EPA, but the company that worked for

1 PRPs, after all the excavations that have been
2 done there, they can't find anything that would be
3 a hazard as an airborne hazard to begin with.

4 The air monitoring tests that I
5 have seen and the sniffers they got are more
6 complex than what I'm used to in the Army, from a
7 chemical warfare standpoint. These guys would be
8 able to tell you and they basically got scared
9 once because they saw something they didn't like
10 and they shut the whole site down.

11 The problems that I see from being
12 on sites as many times as I've been is more in the
13 immediate area. My dad's house, which I don't
14 live anywhere near, and the English's house would
15 probably be in more danger than the City of New
16 Castle or even Route 9 where Grantham Lane meets.

17 You got forest vegetation around
18 it. It's an airborne hazard; it's not going to go
19 too far. Depending on chemicals and weather
20 conditions and everything else, there's not that
21 much of a problem.

22 MR. NEWMAN: Anthony, I'll just add

AR500071

1 that we do have volatile compounds --

2 MR. DELLAVERSANO: Oh, I understand
3 that.

4 MR. NEWMAN: -- there; we have
5 continuously monitored the area and we've made
6 sure that we've never had any of our construction
7 workers that are in an unsafe environment, and
8 you're right, that well before something was to
9 become a problem, we shut the site down and took
10 another look at what we've got and why and
11 approach it from a different angle.

12 So, we're continuously evaluating
13 what we're doing as we're doing it.

14 MS. DAILEY: Any other questions or
15 comments?

16 MR. JOHN LUCEY: I have three quick
17 questions. First, is there any inorganic chemical
18 contamination and what's being done to address
19 that?

20 MR. NEWMAN: Yes; there is some
21 inorganic contamination, although the majority of
22 contaminants are organic. There are some

AR500072

1 inorganics and primarily the engineering controls
2 will be containing those in place, similar to the
3 on-site incinerator which also does not treat
4 inorganics.

5 The soil vapor extraction and
6 bio-venting will not treat inorganics, but the
7 compounds that are causing potential threats to
8 groundwater in the drum disposal area are the
9 organics.

10 MR. LUCEY: Under the second deal,
11 the excavated soil from around the drums, I
12 imagine that's the most contaminated. Why not
13 treat that and make sure it's clean before it goes
14 back in, rather than going into the ground and cap
15 it over?

16 MR. NEWMAN: I was just saying that
17 with land farming, the bio-remediation land
18 farming, we think that this bio-venting, this
19 combination of the soil vapor extraction and the
20 bio-remediation will be more effective than land
21 farming.

22 For those of you who don't know

1 what land farming is, you've got the soils out of
2 the hole, and then it's almost just like a
3 composting pile, you know. Those of you who are
4 familiar with composting, and we know that to
5 effectively compost, you're taking scraps or
6 leaves and the matters that you want to break down
7 you want them to make contact with the soils and
8 you want to turn them regularly so they get good
9 oxygen. And land farming is where you have a
10 large amount of soils out, and in effect, instead
11 of turning it with a shovel, you're turning it
12 with a backhoe, you're airating it that way.

13 We think we can get the same
14 effectiveness in the hole and we'll be able, with
15 the slurry wall and the cap, we'll really get a
16 lot of benefits that you could get from this where
17 you're in total control of what's going on.

18 MR. LUCEY: Okay; and my last one
19 would be, with the bio-venting, is there any
20 contingency plan if it doesn't work? Where do we
21 go from there?

22 Let's say two years goes by and you

AR500074

1 don't have a reduction in the contaminates that
2 you had planned, where do you go from there?

3 MR. NEWMAN: We don't have -- in
4 many cases, we'll have what's called a ^{biheaded} biomedic
5 record of decision where you say you'll try plan
6 "A" and if it doesn't work, you'll go to plan "B"
7 and so on.

8 In this case, we are confident that
9 the soil vapor extraction and bio-venting will
10 work and we don't have a plan "B" identified to
11 where we could just click right to it.

12 MR. LUCEY: I work for an
13 environmental consulting firm and I've seen
14 several of our bio-remediation projects where
15 millions have been invested and it didn't work and
16 they had to come back with the second alternative.

17 I was just wondering if there was
18 some contingency plan.

19 MR. NEWMAN: In this case, this is
20 not a site that we've just learned about. The
21 Delaware Sand & Gravel site we've been studying
22 for a number of years and we've been taking a look

1 at this soil vapor extraction and bio-venting for
2 the last couple of years and we have included
3 treatability studies where we have taken soil
4 samples to make sure that -- and plated out the
5 soils to make sure that we have the type of
6 bacteria that are known to degrade these
7 contaminants.

8 We have taken soils from the most
9 highly contaminated areas and we've found that we
10 do have micro-organisms there. So we don't have
11 toxicity problems because the contaminants are too
12 high.

13 So, we have done a considerable
14 amount of up-front work and I think that, in many
15 cases, when people get into problems, it's because
16 they haven't done that before they made their
17 decision; so, I think we are in pretty good shape
18 here.

19 MS. DAILEY: How long do you
20 monitor once the entire remedial action is
21 completed? How long does that monitoring take
22 place?

AR500076

1 MR. NEWMAN: Once the remedial
2 action is complete, we would continuously monitor.
3 What we would do is put in place a long-term
4 operation and maintenance plan that would include
5 monitoring, and that takes place for a minimum of
6 30 years.

7 MS. DAILEY: Any other questions or
8 comments?

11 MR. DELLAVERSANO: Anthony
9 DellAversano, just one; with the close proximity
10 of Army Creek and a lot of these contaminates
11 going from the drum disposal area into what I
12 think is one or two of their wells for their
13 remediation, how much pressure are you going to
14 have to put inside this thing to keep that
15 operation from coming into this one, if you
16 understand what I'm saying?

17 That slurry wall is going to have
18 some permeability to it and the theory is if
19 there's water that goes by, that's going to suck
20 the water in as opposed to letting -- if I got
21 right what you just explained correct.
22

1 How much is that well over there
2 that is treating Army Creek going to fight with
3 what you're doing at the drum disposal area?

4 MR. NEWMAN: We don't see that
5 they'll fight at all. The Army Creek recovery
6 wells are screened down in that lower aquifer, for
7 for one thing. So, they're not in the same
8 hydraulic unit.

9 In addition to that, over at the
10 drum disposal area, all we have is between three
11 and five feet of saturated zone above the
12 ^{clay}clumping, so there's not a lot of hydraulic
13 pressure across that wall. The wall is speced out
14 so that permeability is -- the details are 1 times
15 10 to the minus 8 centimeters per second, which is
16 really impermeable.

17 MR. DELLAVERSANO: The reason I ask
18 is, there has been an attempt to link these two
19 sites together for a long period of time and the
20 slurry wall is one way I'm trying to see of not
21 linking them together anymore.

22 MR. NEWMAN: The fact is, we are

1 handling the contaminates that are moving from
2 both landfills through the groundwater
3 collectively. So the sites, right now, the
4 contaminate plumed from these two landfills are so
5 intertwined that they cannot be separated.

6 So, rather than trying to do so,
7 we've said, we are going to deal with the
8 groundwater as part of one project. So, the
9 recovery wells that are in place are capturing all
10 of the contaminates and they will re-route them to
11 one water treatment plant.

12 MR. DELLAVERSANO: So that
13 treatment plant that's currently on-site is going
14 to take care of water for the whole facility?

15 MR. NEWMAN: The recovery wells --

16 MR. DELLAVERSANO: Just the
17 recovery wells --

18 MR. NEWMAN: The recovery wells
19 that are pumping there right now --

20 MR. DELLAVERSANO: Well, I know --

21 MR. NEWMAN: Yes, it will, yes.
22 All the wells will be routed to the water

1 treatment plant.

2 MR. DELLAVERSANO: This 60 odd
3 gallons that you're going to be pull out of there,
4 where's that going to be treated at?

5 MR. NEWMAN: That has yet to be
6 determined, but it would be an aqueous treatment
7 plant, a water treatment plant.

8 MR. DELLAVERSANO: The last one I
9 have is, is this still a PRP-driven remediation
10 with you guys with you people dealing with them or
11 is this totally your game at this point?

12 MR. NEWMAN: At Delaware Sand &
13 Gravel at this point, we do not have an
14 enforceable legal document with the PRPs for this
15 portion of the remediation. We do have a Consent
16 Order for the slurry wall where they have agreed
17 to design and construct this slurry wall.

18 Once the record of decision is
19 issued, we expect to invite them to negotiate a
20 settlement for the remedial design and
21 construction of this record of decision, implement
22 this record of decision.

1 MR. DELLAVERSANO: Well, then you
2 now just brought in another thing.

3 Once you've worked this out with DS
4 & G, who's going to do the contracting work for
5 this?

6 I'm the land user even though my
7 family is the land owner. I am the land user; I
8 don't like the contractor who was in there last
9 time that did Grantham south because he hindered
10 some of my operations. Okay?

11 Are you the one that's going to do
12 did contracting work or is PRP going to do the
13 contractor work as far as settlement goes or is
14 that yet to be worked out?

15 MR. NEWMAN: It has yet to be
16 worked out. We will continue to try to work with
17 you, but having said that, you know, we have an
18 objective here and we're going to clean this up.

19 MR. DELLAVERSANO: I understand
20 your objective and I hope to fully go along with
21 your objective, you know, but when you start
22 shutting down some of my operations, then I begin

1 to have a small problem.

2 MR. NEWMAN: I think for the most
3 part, we have tried to work with you and we'll
4 continue to do so.

5 MR. DELLAVERSANO: Yes; and thank
6 you.

7 MS. DAILEY: Are there any other
8 questions?

9 We'll be here this evening if you
10 want to ask them personally, Eric or anyone else.
11 We do have some representatives of DNREC that are
12 here.

13 I think if we are in agreement to
14 end the formal part of the meeting, we can do so,
15 but we are here.


16 MR. NEWMAN: Thanks for coming.

17 MS. DAILEY: Thank you for coming
18 out. The comment period does end on the 13th; so,
19 all comments received by postmark on the 13th will
20 be accepted and considered into the responsiveness
21 summary. Thank you.

22 (Hearing concluded.)

C E R T I F I C A T I O N

I, Deborah J.W. Moquin, a Court Reporter, Notary Public, do hereby certify that the proceedings contained herein of a public hearing which was held on or about September 2nd, 1993, were fully and accurately taken down by me, stenographically and thereafter reduced to a typewritten transcript under my personal supervision, and that this is a true and correct transcript of same.


DEBORAH J.W. MOQUIN
Court Reporter, Notary Public

DEBORAH J.W. MOQUIN
NOTARY PUBLIC OF DELAWARE
My commission expires April 1, 1994

AR500083