

1 U. S. ENVIRONMENTAL PROTECTION AGENCY  
2 PUBLIC MEETING

**CHEMPLEX FACILITY**  
**Clinton, Iowa**

held

9 | Appearing on Behalf of:

10 U.S. Environmental Protection Agency  
Region VII  
11 726 Minnesota Avenue  
Kansas City, Kansas 66101

13 CRAIG W. SMITH, P.E.  
14 Chief, Remedial Enforcement Section  
Superfund Branch

15 NANCY JOHNSON, P.E.  
16 Environmental Engineer  
Waste Management Division

17 DAVID COZAD, Esq.  
18 Associate Regional Counsel  
Office of Regional Counsel

19 KENNETH HERSTOWSKI, P.E.  
20 Project Manager  
Waste Management Division

21 JAN LAMBERT  
Office of Congressional Affairs

23 DALE ARMSTRONG  
Office of Public Affairs

Also Present:

25 JEROME JOYCE, Staff Toxicologist  
Agency Toxic Substance Disease Registry

LAVOY HAAGE and CAL LUNDBERG  
Iowa Department of Natural Resources



	<u>I N D E X</u>	<u>PAGE</u>
1		
2	Opening Remarks by Craig Smith	3
3	Presentation by Nancy Johnson	9
4	Presentation by Cal Lundberg	23
5	Public Questions / Answers	26
6		
7		
8		
9		
10		
11		
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

1

## PROCEEDINGS

2

MR. SMITH: Good evening. And thank you all for coming out tonight. I am pleased to see a good turnout here at this meeting.

5

My name is Craig Smith. And I work for the United States Environmental Protection Agency. My degree is in Chemical Engineering. I am a professional engineer. And I am in charge of the portion of what we call the Superfund Program at EPA, where we're responsible for a number of portions of the hazardous waste treatment and disposal program in which we identify old, and sometimes currently active, hazardous waste sites that need clean-up, some form of remedial action.

14

We are responsible for a four State area: Iowa, Kansas, Nebraska and Missouri. Our offices are in Kansas City, Kansas.

17

And, in addition to hazardous waste, many of you are probably aware that EPA has also has responsibilities in the areas of water pollution, air pollution, other hazardous waste disposal practices, drinking water.

21

Superfund is a program that came into existence through legislation that was initially enacted in 1980. It was re-authorized in 1986 and provides for an \$8.5 billion dollar fund of money to investigate and clean up hazard waste sites.

1                   Our responsibility in that is to identify the  
2                   sites and to conduct the studies to try and determine  
3                   what the problems are at the site and what appropriate  
4                   clean-up measures there may be for the sites, and then to  
5                   see that those clean-ups get carried out, either through  
6                   the use of that Fund money that I referred to or by  
7                   having companies that created the sites in the first  
8                   place come back in and do the studies and the clean-up  
9                   actions.

10                  If, for some reason, we're not able to get  
11                  companies who are responsible for sites to do clean-up  
12                  actions, we will go ahead and use the Superfund monies  
13                  that I referred to, the \$8.5 million dollar fund, to do  
14                  the clean-up action and then do cost recovery actions  
15                  later against those companies.

16                  So that's how the program basically works.

17                  Can everyone hear me okay? Good. Not really,  
18                  did someone say? I'll speak louder.

19                  Tonight, we're here to talk about a site called  
20                  Chemplex, which I imagine many of you are already  
21                  familiar with. It's -- that's the former name of a  
22                  chemical manufacturing operation that operated at the  
23                  facility that's now called Quantum.

24                  The waste from the chemical manufacturing  
25                  process while it was operated as a Chemplex facility were

1 disposed of on-site. And many of them remain there and  
2 some ground water contamination at that site has  
3 occurred.

4 Tonight, we want to explain the remedy for the  
5 disposal areas and get your comments on those remedies  
6 that have been developed.

7 Ground water had been addressed in an earlier  
8 meeting that occurred in August of 1989. I was not  
9 present at that meeting, but some of the same people that  
10 are here tonight for EPA and other representatives were  
11 at that meeting.

12 And I am at least somewhat familiar with what  
13 transpired at that meeting because I have reviewed the  
14 transcript.

15 Bob Morby was here in my place at that meeting,  
16 but he was unable to attend with us tonight.

17 I refer to the two portions of the site  
18 differently. What we are addressing tonight is primarily  
19 the concerns that we have about wastes that were disposed  
20 of on-site in the landfill and in some other areas on the  
21 site property.

22 What we had addressed earlier, as I just said,  
23 was the ground water contamination that has occurred at  
24 that site. A remedy has been chosen for the ground  
25 water. That involves what we call a pump and treat

1 system where contaminated ground water will be extracted  
2 and treated.

3 Tonight, we're here to talk about the remedy for  
4 the landfill and some of the other waste residues that  
5 are left behind on the site itself that are sources of  
6 contamination to the ground water.

7 And so the purpose of this meeting tonight is  
8 for us to present information to you about those -- this  
9 remedy and to answer your questions about that and then  
10 to get your comments and input from you about that  
11 remedy.

12 After tonight's meeting, we will consider your  
13 comments and respond to them in writing and make that  
14 available to you. And, as necessary, we will revise the  
15 clean-up plan and sign what's called a Record of  
16 Decision.

17 That will be the decision document that will  
18 guide us in what we ultimately do at the site.

19 This is a site at which we have had cooperation  
20 so far and expect cooperation in the future from the  
21 parties that are responsible for the contamination, the  
22 previous owner/operators of the facility, namely, ACC and  
23 Texaco Getty.

24 We intend to -- once a decision is made about  
25 what to do at the site -- to enter into negotiations with

1 them in hopes that they will conduct the clean-up work  
2 that we're discussing here at the site tonight.

3 So the agenda for tonight's meeting will be that  
4 I will introduce who the speakers will be. There will be  
5 three primary speakers, two in addition to myself.

6 Then I will introduce some other people that are  
7 here with my agency and the State agencies and some other  
8 interested parties. Then I will ask that you listen to  
9 their presentations.

10 Then I would like to introduce the community  
11 leaders that may be here and have them introduce  
12 themselves, if I overlook any of them.

13 And then I will open it up for questions and  
14 comments from the audience. And we will try to respond  
15 to as many of your questions and comments as we can  
16 tonight.

17 However, it's been my experience that we can't  
18 always answer and respond adequately to all the questions  
19 that come up. If there are questions that come up that  
20 we can't fully address, we will take those with us and  
21 respond to you individually, and, as I said, in writing,  
22 to all of the comments later.

23 So some of the people that will be speaking  
24 tonight -- one of them will be Nancy Johnson. She's to  
25 my right, your left. She's an Environmental Engineer on

1 my staff and is well experienced and has been working on  
2 this site a number of times. For those of you who were  
3 here at the August '89 meeting, she'll be familiar to  
4 you.

5 Seated to her right, with the State of Iowa  
6 Department of Natural Resources, is Dr. Cal Lundberg.

7 And to his right is Lavoy Haage. Both of them  
8 are with the Waste Program in the State Department of  
9 Natural Resources.

10 Some other folks that are here with us tonight  
11 who, again, may be able to respond to questions, are Jake  
12 Joyce. He is with an agency called ATSDR. To make a  
13 long story short, he is a health official who works with  
14 us and gives us health consultations about potential  
15 health problems.

16 His agency is a subdivision of something you may  
17 have heard of called the Centers for Disease Control,  
18 which is part of the Public Health Service, headquartered  
19 in Atlanta.

20 Dave Cozad is here. He's with our Office of  
21 Regional Counsel, which means he's an attorney for EPA.

22 And there is also a person here with EPA, Ken  
23 Herstowski. He works in our RCRA program, which is  
24 another part of the agency's hazardous waste program.

25 He has done a lot of work with Quantum on their

1 existing facilities and compliance with existing  
2 hazardous waste regulations.

3 From the EPA Office of Congressional Affairs,  
4 Jan Lambert is here.

5 From the EPA Office of Public Affairs, Dale  
6 Armstrong is here.

7 And I did not have a chance to meet everyone  
8 before the meeting. Is there anyone here from the Iowa  
9 Division of Health? We were not sure whether there would  
10 be an attendee or not.

11 I don't recognize anyone from there.

12 From the Clinton County Health Department -- is  
13 Mr. Todd Vetter here? I haven't had the pleasure. Or  
14 anyone from the Clinton County Health Department? Okay.

15 University Hygienics Lab? Are you Rick Kelley?

16 MR. KELLEY: I am Rick Kelley.

17 MR. SMITH: Pleased to meet you. And then from  
18 ACC/GCC, Getty Texaco, is Steve Coladonato and Kevin  
19 McAnaney.

20 And with Quantum Chemical Company, Bob Schuler.

21 Okay. With that, I will turn it over to you,  
22 Nancy, for your remarks.

23 MS. JOHNSON: Hello. My name is Nancy Johnson.  
24 And I work for Craig Smith. I am in the Superfund  
25 Program. I have worked in the Superfund Program for

1 approximately seven years.

2 I have been involved with this site for a number  
3 of years and I have had the opportunity to meet with  
4 several of you personally.

5 I am pleased to be here tonight to share the  
6 most recent information we have gained from this site and  
7 to get your input.

8 The main purpose in my presentation tonight is  
9 to discuss with you the preferred remedy for the soils  
10 and waste of the Chemplex site. However, in the context  
11 of doing this, I am going to be discussing some of the  
12 characterization that's been done, some of the site  
13 history and background and some information on EPA's  
14 decision making process to hopefully give you an idea of  
15 why we selected a particular remedy as EPA's preferred  
16 remedy.

17 This is a map showing the Chemplex facility.

18 AUDIENCE: Nancy, talk louder. We can't hear  
19 you.

20 MS. JOHNSON: Talk a little louder? Okay.  
21 Sorry about that.

22 In the corner up here is a polyethylene plant.  
23 This is where polyethylene, high density and low density  
24 beads are produced. These beads are used to make a  
25 variety of plastic products.

1           Over here is an area called the landfill area.  
2           And this area has been in operation from about -- it was  
3           in operation from 1967 to about 1978. The plant, by the  
4           way, has been in operation since 1967. It was operated  
5           by ACC Getty Chemical Companies until approximately 1984,  
6           and is now operated by Quantum Chemical Company.

7           This area here is called the DAC storage and  
8           loading area. DAC, D-A-C, stands for Debutanized  
9           Aromatic Concentrate. And this is a product that is  
10          produced as part of the ethylene cracking process.

11          In this area here, this product is stored and  
12          then it is loaded onto trucks and transported to other  
13          facilities.

14          This is EPA's remedy, or clean-up selection  
15          process. This is a phase that EPA typically goes through  
16          to come up with a final remedy and a Record of Decision  
17          document.

18          The first phase of this process is called the  
19          Remedial Investigation / Feasibility Study process. As  
20          Craig alluded to earlier, this phase of the study can be  
21          done either by spending EPA Superfund monies or by  
22          responsible parties.

23          In this case, the past operators, ACC and Getty  
24          Chemical Companies, conducted this phase of the project.  
25          However, EPA did have some control over this by observing

1 the soil sampling that was done, by analyzing in  
2 duplicate some of the soil samples at a laboratory and  
3 also by reviewing all the reports generated during this  
4 phase of the project.

5 EPA then takes this information and -- the  
6 Feasibility Study, by the way, is a process where  
7 different clean-up alternatives are identified and  
8 evaluated. And EPA summarizes this information and  
9 selects what is called a preferred alternative.

10 And this information is contained in what's  
11 called a proposed plan. We have written a proposed plan  
12 dated January 21st. There are extra copies of this plan  
13 available if you would like to take a look at it tonight.

14 We are now in the public comment period. This  
15 started January 23rd and it is through February 21st. We  
16 have what's called an Administrative Record file that  
17 includes the Remedial Investigation / Feasibility Study  
18 reports, includes the proposed plan and includes any  
19 other documents that are relevant in selecting the  
20 preferred remedy.

21 And this is available in the Clinton and  
22 Camanche Public Libraries as well as the EPA Region 7  
23 library.

24 And we encourage you to take a look at this  
25 Administrative Record file if you can. And we appreciate

1       your input on the site. And, again, you are welcome to  
2       either give us questions and comments tonight or to  
3       submit comments in writing by February 21st.

4       We then take this information and we prepare  
5       what's called a Responsiveness Summary, which includes  
6       all the significant comments and our response to those  
7       comments.

8       This is then part of the record. And we take  
9       this to develop our final remedy in the Record of  
10      Decision document.

11      As Craig pointed out, we were here in the summer  
12      of '89 and went through this same process. We had a  
13      meeting here in the summer. We got a lot of good public  
14      comments and we did come up with a final decision for the  
15      ground water, which includes ground water pump and  
16      treatment processes, as Craig explained.

17      If any of you have been to the libraries and you  
18      have taken a look at any of the documents, the remedial  
19      investigation study report is a pretty thick document.  
20      It's three volumes big and each of those volumes is about  
21      six inches.

22      I don't have time -- we all don't have time for  
23      me to go through all of that information tonight.

24      But I do have a couple of slides that has what  
25      we feel is the most significant information and

1 information that we thought was important in developing  
2 the selected remedy.

3 EPA typically looks at soil concentrations on  
4 the surface. In this case, these are the maximum  
5 concentrations of soil in the surface that's in the top  
6 foot. And this is in parts per million.

7 The reason that we look at that is that there's  
8 a potential, if there are contaminants on the surface,  
9 that those contaminants could be wind blown and there  
10 could be people who might have exposure to those  
11 chemicals.

12 In this case, these are the study areas, the  
13 landfill area, the DAC area and other areas that refers  
14 to all of these areas here.

15 Benzene -- this is PCE, otherwise known as  
16 tetrachloroethylene, and PAH's are polynuclear aromatic  
17 hydrocarbons. Again, this is not all the chemicals that  
18 were found, but these were the main chemicals that were  
19 found in these areas.

20 And these were from the highest concentrations  
21 to the non-detected. And these were the maximum  
22 concentrations found of each of these compounds in these  
23 areas.

24 Again, this is not the concentration that's  
25 throughout this area. This is just the highest hit on

1 the surface.

2 EPA did an evaluation of these contaminants up  
3 to this maximum level. And the results of that is that  
4 these compounds that these concentrations do not cause  
5 adverse health effects to the people who would be the  
6 most likely exposed to these.

7 Another thing EPA looks at is the concentrations  
8 of compounds in the sub-surface because these compounds,  
9 while people would not be exposed to dust generated from  
10 these because they are deep in the ground, there could be  
11 potential to contaminate ground water.

12 Again, these are the same compounds, the same  
13 areas. These are the maximum concentrations found  
14 anywhere in any of these areas.

15 As you can see, there is pretty heavy  
16 contamination in the landfill area. It's orders of  
17 magnitude above these other areas.

18 And even though there will be a ground water  
19 pump and treat system put in place next year to extract  
20 contamination in the ground water, we still feel like  
21 it's important to try to address this contamination  
22 before it gets to the ground water.

23 This is the criteria that EPA uses to make a  
24 remedy selection or clean-up selection. Of the most  
25 importance is protectiveness. This is protectiveness of

1 human health and the environment.

2 The next criteria is implementability. This is  
3 important because whatever clean-up action is selected,  
4 it has to be able to address the compounds of concern.  
5 There has to be equipment that's readily available to  
6 implement the clean-up action.

7 And, in this case, another concern we have is  
8 that we do have an operating plant. And we don't want to  
9 disrupt their actions anymore than possible.

10 Cost effectiveness is another criteria. Federal  
11 and State requirements, it's important that whatever  
12 clean-up action is chosen meets federal and State  
13 requirements. And -- you know, for example, the Clean  
14 Water Clean Air Act and any other federal and State  
15 requirements that are applicable.

16 Effectiveness, what this means is that it's  
17 important that whatever clean-up action is chosen is  
18 effective in maintaining protection of human health and  
19 the environment.

20 Community acceptance, that's why we're here  
21 tonight to present to our preferred remedy and the  
22 information this is based on. And we encourage your  
23 input and your comments.

24 There are a total of eight alternatives that we  
25 evaluated. I am going to be going through the list of

1 alternatives. And in this discussion, I am going to try  
2 to give you a feel for why we feel that some of these  
3 alternatives met our evaluation criteria better than some  
4 of the other alternatives.

5 The first alternative is the no action  
6 alternative. We do not feel that that's an appropriate  
7 action for this site. However, we are required by law to  
8 evaluate this as an alternative. And it does provide a  
9 base line for comparison for all the other alternatives.

10 The next alternative, cap in the landfill area  
11 and in the DAC and Polishing Basin areas. And for the  
12 other areas, this means a soil and grass cover. And  
13 these other areas would be fenced, thereby ensuring that  
14 there would not be anymore exposure to these areas.

15 The problem we have with this alternative is  
16 that this does not address the decontamination in the  
17 landfill that can migrate into ground water.

18 The next alternative is soil, SVE, a soil vapor  
19 extraction, followed by a cap in the landfill area.

20 Soil vapor extraction is a treatment technology.  
21 And it's been used successfully on a vast number of  
22 Superfund sites in the nation.

23 The way soil vapor extraction works, it's by  
24 installation of extraction wells installed vertically in  
25 the soils. And these are installed above the water

1 table.

2 And this works by applying a vacuum to all of  
3 these wells and extracting contaminants through the air  
4 spaces in the soil. And after these contaminants are  
5 extracted, they are then treated.

6 And we did try this out in the landfill area  
7 during the Remedial Investigation phase and it did work  
8 very well. And we think that this would be a good thing  
9 to do in the landfill.

10 The cost of this alternative is about five and a  
11 half million dollars. The cost of this alternative is  
12 about eleven and a half million dollars.

13 The next alternative is similar to the last  
14 alternative, except it would not incorporate a cap in the  
15 polishing basin area. You know, we have taken a look at  
16 both alternatives.

17 Essentially, the surface contamination in the  
18 polishing basin area is not that great. And we think  
19 this alternative would provide about the same amount of  
20 protectiveness as the previous one.

21 And this alternative costs about eleven million  
22 dollars.

23 The difference between this alternative and the  
24 previous alternatives, this alternative calls for SVE,  
25 followed by a cap in the landfill, DAC area and polishing

1 basin area. So this would incorporate SVE and the DAC  
2 and polishing basin areas in addition to the landfill.

3 SVE was tested in the DAC and the polishing  
4 basin areas, as well as the landfill area. It did not  
5 work near as well in these two areas as it did in the  
6 landfill. Therefore, we don't feel like this alternative  
7 incorporates anymore protectiveness than the previous  
8 two.

9 And this alternative would cost about fourteen  
10 million dollars.

11 The next alternative, SVE cap in the landfill,  
12 polishing basin areas, again, like I said earlier, the  
13 SVE did not work very well in the polishing basin area.

14 As far as the DAC area, what this would mean  
15 would be excavate certain portions of the DAC area and  
16 incorporate SVE in some of the other areas of the DAC  
17 area.

18 Again, we don't think this provides anymore  
19 effectiveness. It also would be difficult to incorporate  
20 SVE in the polishing basis and DAC areas because they are  
21 operated facilities.

22 By the way, this is the polishing basin here.

23 The next alternative is SVE and then excavation  
24 and bio-remediation of the landfill soils and cap the  
25 previous basin area. That is that area here.

1           Otherwise, it's similar to the last alternative.

2           We have some concerns about excavating the  
3           landfill. You know, with SVE, you don't need to dig  
4           anything up. But bio-remediation -- when you excavate,  
5           the landfill could cause release of contaminates. And we  
6           really don't think we would get anymore protectiveness  
7           out of this alternative.

8           The cost of this alternative is about ninety  
9           five million dollars.

10           The last alternative, SVE, excavate, and this is  
11           incineration of the landfill contaminants and this would  
12           also call for excavation and bio-remediation of all other  
13           areas.

14           With incineration, it would be effective for the  
15           contaminants of concern. However, there would be a lot  
16           of administrative requirements, including permits that  
17           would have to be obtained to incorporate this. And,  
18           again, excavation could cause the release of  
19           contaminants.

20           And as far as this part of the alternative is  
21           concerned, excavation and bio-remediation of all other  
22           areas, keep in mind that the polishing basin area and the  
23           DAC area are operational areas.

24           So what this would do would basically mean  
25           shutting down those two areas and relocating them. We

1 just don't feel like you would accomplish anymore  
2 protectiveness by doing this and have the implementation  
3 problems.

4 So we do not think, this would be a good  
5 alternative.

6 And the cost of doing this would be about two  
7 hundred and seventy million dollars.

8 As a result of that evaluation, this is what we  
9 have come up with a preferred alternative, SVE in a cap  
10 in the landfill area. There is a portion of the DAC area  
11 that we feel like should be capped.

12 And we feel like the cover and this fence and  
13 the other areas would be adequately protective of human  
14 health and the environment.

15 This is an estimate of the cost for performing  
16 the preferred alternative.

17 The capital cost would be approximately eleven  
18 million dollars.

19 There would also be annual operation and  
20 maintenance costs. This would be in operating the soil  
21 vapor extraction system and in maintaining the various  
22 caps, covers and fence for other areas, a cost of almost  
23 thirty-three thousand dollars.

24 And, again, the actual costs will be developed  
25 during the design phase.

1                   These are the future activities for the site.  
2                   Public comment through February 21st, and, again, we  
3                   encourage your input and your questions and comments.  
4                   And, like I said earlier, we will develop a  
5                   responsiveness summary of all the significant comments  
6                   and our responses to that.

7                   And with that information, we will incorporate a  
8                   final remedy into the Record of Decision document.

9                   After that, we will move into the implementation  
10                  stage for whatever the final decision is. And for the  
11                  soils and waste, that's the phase of the project we're  
12                  dealing with now.

13                  As we have said earlier, the ground water is  
14                  already in the implementation stage. We are in the  
15                  design phase of that right now and expect that to be the  
16                  -- the ground water system to be built and in operation  
17                  next year.

18                  This is the location of the Administrative  
19                  Record file, Clinton and Camanche Public Libraries. And  
20                  also the EPA Region 7 Library in Kansas City, Kansas has  
21                  copy of the Administrative Record file for your review.

22                  You can send your comments in writing to Hattie  
23                  Thomas. This is her address and our toll free phone  
24                  number, if you have any questions or comments you want to  
25                  submit.

1           There are also fact sheets available that  
2 contain this same information.

3           Thank you very much.

4           MR. SMITH: Thank you, Nancy. With that, I will  
5 ask Cal Lundberg to come up, please.

6           MR. LUNDBERG: I really don't have anything of a  
7 technical nature to add to what you have heard to this  
8 point.

9           But I will tell you in a thumb nail sketch what  
10 the State's role has been in this process.

11           In an investigation and ensuing actions like  
12 this, there is an awful lot of documentation that is  
13 generated. Nancy has indicated where you can read just a  
14 fraction of this stuff.

15           The state has made an attempt and as far as  
16 possible with less than one person to do this to stay on  
17 top of this. As a result, our role is not primarily that  
18 of a technical nature, though we do some technical types  
19 of review.

20           We really have fulfilled two other functions  
21 more than that. One of these is to identify to the EPA  
22 and to the other parties involved what the State's  
23 concerns are with regard to applicable regulations that  
24 the State may have that will be impacted in the process  
25 of the clean-up or things which we feel need to be taken

1 into consideration in addressing a situation such as that  
2 at Chemplex.

3 The other activity that we're involved in, which  
4 is our most important one, is seeing that the State  
5 agrees with the overall direction that the investigation  
6 takes and that the remediation which is planned for a  
7 site such as this fulfills what the State expects in a  
8 situation like this.

9 And I would like to say at this point that the  
10 State is in agreement with EPA on the proposed plan for  
11 addressing the Chemplex site. So if you have any  
12 questions of me, we can address those later in the  
13 discussion tonight.

14 MR. SMITH: Thank you, Cal. Before I forget, I  
15 would like to invite everyone to please fill out one of  
16 the yellow cards that are available at the table over  
17 there. There were a number of people coming in at the  
18 same time at one point. And I'm not sure everyone had  
19 opportunity to fill that out.

20 What that will enable us to do is to get back to  
21 you with a mailing so that we can respond to your  
22 requests in writing and so you can get future notices on  
23 these meetings.

24 With that, I would like to introduce community  
25 officials and community leaders who might be here with us

tonight.

Two that have come to my attention are Mr. Charles Goddard, who is with the Clinton County Area Solid Waste Management Agency. Mr. Goddard. Thank you.

And Mr. Robert Tonn -- I hope I pronounced that correct -- with the Clinton Water Pollution Control Board. Thank you.

And are there any elected State or other municipal representatives here tonight? I would certainly like to have you be introduced and make a statement if you are here.

MS. LE DOUX: Mike Hardesty wanted to be here. He had a letter with him. Bill Bradley, the mayor of Camanche was to be here, but I don't see him.

MR. SMITH: Okay. I may have that letter and I am going to get to that in just a minute.

The next thing I guess I would like to mention is that we're about to open it up for the comment period. We have a court reporter here with us tonight who is making a record of the meeting so that that can be part of the public record and we can make sure we get all of your comments down completely so that we don't have to take as complete notes as we would otherwise.

And for our benefit and for her benefit and for the benefit of the other people that are here, I would

1 ask that you please identify yourselves prior to making  
2 your statement so that we will know who you area.

3 We have had two people so far indicate an  
4 interest in making a comment or making a statement. I  
5 think that would be probably a good place to start with  
6 the comments, if these people are prepared with their  
7 comments or their statements at this point in time.

8 If you are not and would rather wait until  
9 later, that's fine, too. I don't want to put you on the  
10 spot, but I just want to recognize your interest.

11 Lynn and Joy Payne indicated a desire to make a  
12 statement or make a comment. So if that's a good place  
13 to start.

14 MR. PAYNE: Should I come up to the mic?

15 MR. SMITH: Please. Thank you.

16 MR. PAYNE: As you stated, our name is Lynn and  
17 Joy Payne and we live in the area.

18 And our biggest concern and wanting to know what  
19 is going to happen is with our ground water. We are all  
20 on wells and we want to know what the clean-up action is  
21 going to be. And a year is quite a ways down the road  
22 whenever you're living in it.

23 MR. SMITH: Okay.

24 MR. PAYNE: Thank you.

25 MR. SMITH: We will try to address that.

1           I will address it in part and I will hope that  
2 some of the other people that may have more specific  
3 information will be able to help me.

4           We, in the course of studying the ground water  
5 at the site, have determined that there is indeed  
6 contamination of ground water beneath the site itself,  
7 beneath the Chemplex site, and that some migration of  
8 that contaminated ground water has occurred for a short  
9 distance off the site.

10          The remedy that was selected and is in the  
11 design phase right now will involve a -- what we call a  
12 pump and treat system. It's basically a large withdrawal  
13 well system on the plant property that will extract  
14 contaminated ground water.

15          And what we call the zone of influence of that  
16 pumping well will reach out to capture the contamination  
17 that has been released and is in the process of migrating  
18 off the plant site. Return that contamination to those  
19 wells.

20          It will be pulled out in those wells. That  
21 water will go through a treatment system in which the  
22 contaminants will be removed. And that water will  
23 ultimately be discharged through -- we're not sure  
24 exactly where it'll be discharged. It'll be discharged  
25 to the river either through the existing treatment plant

1 on the site or through a separate outfall.

2 So that deals with ground water contamination on  
3 site or at the plant site.

4 Does that address your question and your  
5 concern?

6 I think we can hear you if you would just like  
7 to stay there.

8 MR. PAYNE: Well, partially. In your process of  
9 pumping this, what's going to happen to the shallow wells  
10 in the area if you bother the water table?

11 MR. SMITH: Okay. We're in the design phase  
12 right now, which means that we will have more specific  
13 information to answer your question fairly soon.

14 Yes.

15 AUDIENCE: Excuse me, what was the question?  
16 I couldn't hear.

17 MR. SMITH: The question was how will the pump  
18 and treat system on the plant site effect the other wells  
19 in the area that people are using for water supply wells?

20 AUDIENCE: Thank you.

21 MR. SMITH: Will it lower them, will it dry them  
22 out, is what you are getting at ultimately.

23 It's -- what we -- the design would be set up in  
24 such a way that it would have a zone of influence, so to  
25 speak, that would be on the plant property to capture the

1 contamination on the plant property and extend to an area  
2 off the plant property. But only a short distance, only  
3 far enough to capture contamination that's already been  
4 released from the site.

5 To the best of my knowledge, there are not any  
6 private wells that would be effected by this pumping  
7 system. But that's where I would like to make sure that  
8 other people who have more information about this can  
9 tell me I'm correct.

10 Is that what --

11 MS. JOHNSON: You're concern is that with this  
12 pumping, they might dry up your well. It would not do  
13 that. The influence would be close to the plant area.  
14 It would not cause the water table in your area to go --

15 MR. PAYNE: Well, we've had problems before.  
16 When DuPont put in their large well they lowered the  
17 water table in our area. Now, that's considerably  
18 farther distance to come as the crow flies than what  
19 Chemplex or Quantum is now.

20 MS. JOHNSON: Well, there would be not one well.  
21 There would be several wells located around it. But they  
22 would not have as high a pumping capacity.

23 MR. SMITH: And you know, we have not done a  
24 study. I presume when you refer to the DuPont Plant, you  
25 are referring to the DuPont plant in Clinton and their

1 production wells?

2 We haven't done a study of what those production  
3 wells would have had on your area. And I'm a chemical  
4 engineer. I'm not a hydrogeologist.

5 But I would doubt that those pumping wells would  
6 have an effect on the wells in your area directly. An  
7 effect that may have occurred, but, again, I don't have  
8 the data to be able to address it one way or the other,  
9 is that the regional water table could be depressed  
10 because of use.

11 Again, in this area, the alluvial aquifer of the  
12 river is considered a real high yield aquifer. And I  
13 would be surprised if that effect actually occurred.

14 However, as I say, we have not done a study of  
15 it. I did not know whether Dupont has done a study of it  
16 or if there is anyone else here who has information about  
17 that.

18 But the plan for the Chemplex clean-up on  
19 pumping the ground water would not effect that.

20 MS. JOHNSON: Well, there would be a number of  
21 wells, but they would be pumping at a much lower rate, I  
22 am sure, than what that Dupont well was pumping at. So  
23 it would not lower the ground water table out in your  
24 area.

25 MR. SMITH: I have another person who indicated

1 a desire to make a statement. Mr. Dale Dithmart.

2 MR. DITHMART: I pass on this one until later.

3 MR. SMITH: Okay. That's perfectly all right.  
4 And then another person who may not be inclined at this  
5 point, but thought they might want to make a statement,  
6 was a Mr. William Hintz, is that correct?

7 MR. HINTZ: Yes. I would like to talk all  
8 night, because this is such a sore subject.

9 MR. SMITH: Okay.

10 MR. HINTZ: I am Bill Hintz. I live in the  
11 swamp down there.

12 On the map up there, you had three chemicals you  
13 tested for.

14 MS. JOHNSON: Yes.

15 MR. HINTZ: How about arsenic?

16 MS. JOHNSON: Arsenic is --

17 MR. HINTZ: That is a very deadly chemical. And  
18 once it gets in your system, it stays there and just  
19 keeps building and building until you get enough to knock  
20 you out dead. I don't see anything about arsenic  
21 testing.

22 There is 500 and some chemicals known in that  
23 area. All you talk about is three. Why?

24 MR. HINTZ: You can answer later on.

25 MS. JOHNSON: Okay.

1                   MR. HINTZ: Now, you talked about how you're  
2                   going to fix the dump sites. What are you going to do,  
3                   throw in a couple buckets of mud and throw some grass on  
4                   it like you did the other about eight years ago, six  
5                   years ago?

6                   And then you talk about fourteen million it's  
7                   going to cost. You've got \$270 million dollars down  
8                   here. And then I see another one costs about \$11 million  
9                   dollars.

10                  What figure, million dollars worth could I put  
11                  on my wife that died from three different kinds of cancer  
12                  that caused from any one of the chemicals in there?  
13                  What's she worth? \$100? It cost me more than that to  
14                  bury her.

15                  You talk about \$270 million dollars. That's a  
16                  drop in the bucket. She's worth more than that to me.  
17                  You didn't lose anybody. You live a couple hundred miles  
18                  away from here. You don't have anything on there.

19                  And you talk about soil removing. If it gets  
20                  bad enough, are you going to dig the dump out and haul  
21                  the dirt out?

22                  AUDIENCE: No, just dump it in Hazel Lake.

23                  MR. HINTZ: What are you going to do with all  
24                  the water and chemicals that's from the dump site already  
25                  moving downstream? I call downstream downhill.

1           And then you say "we don't think", "I don't  
2           think". I think with your education and as my tax money  
3           pays your salary, you should be able to say, "I believe"  
4           instead of "I don't think."

5           We don't pay you for don't thinking. We want  
6           some true answers. You gave me the same run around about  
7           eight years ago when we was at the Camanche meeting down  
8           there.

9           And then -- what's your name, sir?

10           MR. SMITH: Craig Smith.

11           MR. HINTZ: Okay. You said you was going to put  
12           some wells around the dump, what we're talking about  
13           tonight. They're good for a short distance of pumping  
14           the water up and out of there.

15           Sure, you're going to clean up the water right  
16           around there. What you going to do with the water what's  
17           already slowly moving towards our wells? You don't think  
18           about that. I don't think about it. I know it's coming  
19           down there.

20           And we have a very dear friend of mine, Hazel  
21           Foley --

22           AUDIENCE: She is my mother.

23           MR. HINTZ: She is right now -- she's in Iowa  
24           City hospital very sick. She has cancer. We don't  
25           think, we know she has it. Now, why don't you stop

1 saying, "I think" and "we don't know".

2 And you'll come up there and you're going to  
3 pump out some water. What are you going to do with the  
4 excess water that you pump out? Are you going to pump it  
5 into my Mississippi River where I have my houseboat so  
6 you can kill the fish so I can't go fishing anymore?

7 AUDIENCE: No, put it in Hazel Lake.

8 MR. HINTZ: You know it killed all the fish in  
9 there already. I got some more notes here but I can't  
10 read them all. But it burns me up to think that you're  
11 going to clean up our water, our environment by putting a  
12 couple of loads of clay top of the dump.

13 Sprinkle some grass seed on it, put a fence  
14 around it say, oh, that looks pretty. We're looking at  
15 the prettiness. We don't worry about that ground water.

16 After we kill everybody off in that area, it'll  
17 go away.

18 Now, somebody is dragging their feet around  
19 here. It's been eight or ten years we've been fighting  
20 ground water. Chemplex, DuPont, dump sites, and there  
21 are dump sites that I told you about. They've never been  
22 uncovered. They've never been checked out? Why?

23 We pay you to do it. We give you the  
24 information and it's up to you people who get paid for it  
25 to go out and investigate it. No. If you would live

1 there, if your family is slowly dying off one by one, you  
2 would get off your duff and you would spend some time in  
3 there and snoop around and see what's going on.

4 That's enough for right now.

5 MR. SMITH: Thank you. There are a number of  
6 comments there. And I would like to take them in the  
7 order they were presented to try to address them as best  
8 we can.

9 The first one that I have down has to do with  
10 testing for arsenic in the wastes that were at this site.

11  
12 And, Nancy, that's probably one that you can  
13 address as to whether there were analysis run on the  
14 wastes for arsenic at any point in time.

15 MS. JOHNSON: There were analysis done for  
16 arsenic and other metals at the site. Arsenic is not a  
17 contaminant of concern at Chemplex. It was not ever used  
18 in the polyethylene process.

19 MR. HINTZ: According to the paper the other day  
20 it was used in their process.

21 MS. JOHNSON: Do you happen to have that  
22 information?

23 MR. SMITH: If you could submit that to us, we  
24 would certainly consider that. As I understand what  
25 Nancy is saying is that we did a -- we and ACC/GCC

1 conducted a chemical analysis of the waste that's  
2 disposed there.

3 And I don't know whether arsenic was detected in  
4 that waste or not. But what I hear you saying is that it  
5 was not one of the contaminants that was there in high  
6 concentrations --

7 MS. JOHNSON: That's correct.

8 MR. SMITH: -- of concern. But we would have to  
9 review the data, which we do not have all of it here with  
10 us tonight to adequately respond to that comment.

11 Yes.

12 MR. HINTZ: You didn't read up on arsenic very  
13 well then if it's just a small amount. A small amount is  
14 enough. A minute part in water, either drinking or in  
15 taking a bath in it.

16 Once it gets in your system, it stays there. It  
17 never flushes out until you accumulate enough of it until  
18 where it will finally kill you.

19 MR. SMITH: Right.

20 MR. HINTZ: What's it take seven or eight years?

21 MR. SMITH: I'm not saying that I don't think  
22 arsenic is a toxic compound. We're aware that it's a  
23 toxic compound.

24 But what there has to be is some method for  
25 people to become exposed to it. If it is, and we're

1 going to check the data in the landfill or the ground  
2 water, in any concentrations on the plant site, the  
3 remedies that are being proposed here tonight will  
4 address that concern or address that problem.

5 We do not know of any current cases of anyone  
6 being exposed to unsafe level of arsenic or other  
7 compounds, now or in the past, through drinking it and  
8 other ways.

9 MS. LE DOUX: My ground water has TCE in it and  
10 I have lost two people that I loved. And I have had  
11 cancer. There are nine houses on that block and seven of  
12 them have had cancer.

13 MR. SMITH: Okay. You remind me of the letter  
14 that you referred to earlier. And I apologize for not  
15 having come back to that. I want to come back to the  
16 rest of your comments, Mr. Hintz.

17 But, before we left today, we did receive a  
18 letter in our offices. And I saw it for the first time  
19 on the way up here. And let me read it to you. It's  
20 from the House of Representatives, State of Iowa,  
21 Statehouse.

22 And it's not dated. But the second page is  
23 dated January 27th, 1993. It's signed by 24 State  
24 senators and representative, so legislators. Let me read  
25 it to you.

1                   It's addressed to EPA, Administrator, Area 7,  
2 meaning Region 7.

3                   "Dear Sirs, Numerous citizens from around Iowa  
4 are very concerned with the remedial action that is  
5 proposed for the Chemplex contamination site.

6                   "Without knowing the technical aspects of this  
7 particular site, or the necessary technologies or  
8 methodologies needed to deal with the clean-up of this  
9 site, we hope that your agency will pursue this effort  
10 with diligence and effectiveness.

11                  "As a part of the prescribed clean-up strategy,  
12 we ask that a health based study be conducted to  
13 determine if residents within close proximity to this  
14 site have been exposed to harmful pollutants and if these  
15 pollutants have had any detrimental health effects on  
16 these citizens.

17                  "Local citizens have shown great concern over  
18 the years for contamination problems in this area. And  
19 with the information now available on the site, it seems  
20 only prudent that a health analysis be part of any  
21 remedial action plan.

22                  "Please consider our request in formalization of  
23 your final plan and keep us informed as to the progress  
24 of your clean-up and any other information that is  
25 available that is available concerning the extent of

1 damage to the local citizens and the environment."

2 So that's the letter. To date, this is the only  
3 letter that we have received during the public comment  
4 period. But we -- and we take it seriously. We will  
5 give it serious consideration.

6 As I said, we just received this before I left  
7 the office, like an hour before I left the office to come  
8 down here today. We will take this back to our managers  
9 and people in authority, greater levels of authority than  
10 I, if you will, at EPA. And it will be -- it will be  
11 addressed and it will get some attention.

12 I can't promise you tonight that the health  
13 study that is requested here will be conducted. But we  
14 will, as I say, give it serious consideration. So I am  
15 not saying yes or no. I don't have the power to do that  
16 tonight.

17 I would point out to you that there has been  
18 health information gathered about this site. Some prior  
19 to the last meeting and some in the intervening period  
20 between the last meeting and now.

21 We were aware that there are a number of grave  
22 concerns on the part of people living in the area. In  
23 trying to respond to those concerns, the University  
24 Hygienics Lab, working with the local county health  
25 department, did a series of samples on wells, private

1 drinking water wells in those areas to try to determine  
2 what kinds of contaminants were found.

3 Since I didn't conduct the study personally, I'm  
4 not intimately familiar with all the details of that.  
5 But I am aware that there were some concentrations of  
6 trichloroethylene found in some of those wells.

7 None of the values that were found in those  
8 wells were above the EPA action level of concern.

9 AUDIENCE: How many years does that have to be  
10 though?

11 MR. SMITH: Well, the EPA -- the level that  
12 we're talking about of five milligrams per liter. And I  
13 will ask a health official to help respond to your  
14 question.

15 But the five parts per billion level of TCE is a  
16 toxicity level that's based on long-term exposure. The  
17 way the calculations are made or it's based on, I  
18 believe, a 70 year exposure to persons drinking a certain  
19 quantity of water every day during that time period.

20 And at that level, there could be -- the  
21 prediction is that at that level, one cancer in one  
22 million population could occur. That's my laymen's  
23 description of it.

24 What you all have been repeatedly reporting is  
25 the evidence of cancer rates higher than that in this

1 area. My point to you is that without more information,  
2 it's impossible to know what the contributing causes to  
3 those cancers were.

4 Based on the data that we have, we do not think  
5 that trichloroethylene contamination in the water is a  
6 significant contributing factor. We all must be aware  
7 that there are many contributing factors to cancer.  
8 There are lifestyle factors of smoking, diet, alcohol  
9 consumption. There are occupational exposures.

10 There are other exposure that we have to  
11 pesticides and other things that we use in the  
12 residential area. And there is not an automatic  
13 connection between those -- what we consider low level of  
14 contaminants that were found in some of your wells and  
15 those cancers.

16 The other point I need to make is that the  
17 technical evaluation that we have done tells us that  
18 there is no technical connection. There is no physical  
19 connection that we know of between the operations at  
20 Chemplex and those contaminants that are showing up in  
21 low levels in your wells because of what we know about  
22 the hydrogeology and the geology and the hydrology.

23 In other words, the water flows in the area.

24 So that's about the -- Jake, did I say that  
25 right? Can you add to, delete from?

1                   MR. JOYCE: I believe that trichloroethylene or  
2                   TCE was found in one individuals drinking well at a level  
3                   of 1.5 parts per million.

4                   MS. JOHNSON: It was found in Hazel Foley's  
5                   well. And I think back in '89, it was found, like, at a  
6                   level of three. And it's been sampled since then and  
7                   it's had levels of two and levels of one recently.

8                   AUDIENCE: But how many years does she have to  
9                   drink that by the time you do anything, you know? It's  
10                   probably been in the well all through this time. And by  
11                   the time you sample it, how long has it been there? What  
12                   -- you just found it so it just got there, or how long  
13                   has it been there.

14                   MR. SMITH: Excuse me. Could you identify  
15                   yourselves and talk loud enough so that at least the  
16                   reporter can hear?

17                   AUDIENCE: I am Hazel Foley's daughter. I don't  
18                   know much about chemical contamination. I am here for my  
19                   mother. I can't talk about it right now. I know she had  
20                   a paper about the contamination of that water.

21                   Anyway, I just came tonight to learn more about  
22                   it.

23                   MR. SMITH: Yes, ma'am.

24                   MS. AUSTIN: I am Jean Austin. And I have three  
25                   points I would like to bring out.

1           All this seems to be -- these tests with the  
2 drinking water. And from my understanding, some of these  
3 chemicals are even more toxic, like if we bathe in them.  
4 They go right through your skin, the same way they go  
5 through your gastrointestinal system.

6           It's just as bad to bathe in them, which is a  
7 lot more water.

8           Also, you are doing this all one by one.  
9 Whereas, a lot of these things, the combination is -- I  
10 mean, it's not linear. It's not one, two, three, four.  
11 I mean, the sum of the parts could be vastly more toxic  
12 than you would think.

13           Also, as far as lifestyle is concerned, I can't  
14 imagine how the lifestyle of the people out there is that  
15 much different than anyplace else.

16           And then if they're not coming from Chemplex,  
17 where are they coming from?

18           MR. SMITH: Okay. Again, multiple good  
19 comments.

20           Let me go back and try to work -- before I get  
21 too far away from Mr. Hintz's comments. We addressed --  
22 well, we don't have the data with us, so we can't fully  
23 address the arsenic question. But we will get back to  
24 you on that.

25           What I wanted to clarify though before we move

1 to something else is that we're not saying that arsenic  
2 is not toxic. We recognize that arsenic is a toxic  
3 compound.

4 But, to our knowledge, as I say, people are not  
5 being exposed to it based on the testing that we have  
6 done.

7 Throwing mud on to the dump site and planting  
8 grass on it as the remedy, what I would like to clarify  
9 here is that there are two important parts to the remedy  
10 in the landfill.

11 The first, and probably most important is,  
12 what's being described up here as soil vapor extraction.  
13 And that's a fancy technical term that basically says  
14 that what will happen in the landfill area is that there  
15 will be wells installed but they won't be wet wells or  
16 water wells.

17 They will basically be cased holes into the  
18 landfill. Fresh air will be drawn through the landfill  
19 and the waste that's there will be essentially treated in  
20 place in that a lot of these toxic compounds that have  
21 been listed up here are what we call volatile, which just  
22 means they evaporate.

23 If you pull fresh air through it, the compounds  
24 tend to evaporate into this fresh. The fresh air is  
25 drawn out, treated, the toxic compounds are removed

1 before it's discharged to the atmosphere.

2 If that is done over a long enough period of  
3 time, there can be a significant reduction in the  
4 concentrations of contaminants that are in the waste  
5 that's disposed of there.

6 This was a relatively new technology ten years  
7 ago with EPA. It has since been widely applied, has  
8 widely been demonstrated to be effective. It will not  
9 clean up contaminants to zero, but very few technologies  
10 can.

11 The studies that we have done out at the site  
12 and that the company has done out at the site indicate  
13 that this will be at least a very effective first step in  
14 addressing the contamination.

15 And we are hopeful that it will achieve  
16 significant reductions in the contaminations at the  
17 landfill. And the more so that it will reduce the  
18 loading on the ground water, in other words, that this  
19 pathway will be broken so that the ground water pump and  
20 treat system can work over a period of time because fresh  
21 contaminants won't be coming into it.

22 Part of the purpose of the cap over the landfill  
23 area, and that could be aptly described as mud and grass  
24 is, to protect -- to break the direct contact threat so  
25 that workers or other people in the area won't be coming

1       in direct contact with the contaminants that remain  
2        behind in the landfill.

3           So that's what the remedy consists of. I can  
4        only empathize with you over the loss of your wife. And  
5        I know that there is no way for any of us to correlate  
6        costs of these actions with that.

7           But I am here tonight to tell you that we are in  
8        good conscience looking at these problems as hard as we  
9        can. And while there is nothing I can say that can ease  
10       that, we take this site seriously and we are committed to  
11       investigating the problems and, to the limits of our  
12       authority and our technical ability, to make the best  
13       judgments that we can.

14           But all I can is I'm sorry beyond that.

15           Movement of the chemicals downstream, we have  
16        looked hard at the hydrogeology at the site and at the  
17        hydrology. And those are a couple of fancy words that  
18        mean that we are convinced that the ground water pump and  
19        treat system that will be constructed there will prevent  
20        contaminated ground water from moving from this site into  
21        private drinking water wells nearby.

22           And we have a monitoring system in place to  
23        ensure that that will take place. And if it doesn't, we  
24        will require further actions on the part of the company  
25        to make sure that it does.

1                   Hydrology refers to rather than sub-surface  
2                   water flow, surface water flow. By that, we mean water  
3                   that runs off-site from the surface of the site down the  
4                   stream into the pond or into the lake.

5 We have evaluated that. We have taken some  
6 sediment samples in that streamway. We have taken  
7 samples of the water as it runs off of the site. And, to  
8 the best of our knowledge, that is not a route of  
9 contamination off the site into that nearby lake or those  
10 surrounding properties.

11 Now, you may refer back to the fish kill that  
12 occurred a number of years ago. And we are aware that  
13 the State of Iowa is aware of that.

14 We looked at that and there are a couple of  
15 important factors that effected that, that make us think  
16 that there is not a connection between that and the  
17 present contamination that is showing up in at least one  
18 drinking water well now.

19                   The main difference is that there are two  
20                   entirely different types of compounds involved. In the  
21                   fish kill, there was a compound, it was actually a  
22                   combination of compounds that Nancy referred to. Another  
23                   fancy name. debutanized aromatic concentrate.

1 In other words, some big words again. But they are  
2 basically a class of compounds that do not have a  
3 chlorine molecule on them.

4 There are another class of compounds that do  
5 have chlorine molecules on them. And that's with the  
6 trichloroethylene that you hear about. Whenever you hear  
7 "chlor" in the word, that means that there's a chlorine  
8 compound on it. The TCE, trichloroethylene is a  
9 chlorinated compound.

10 The fish kill was caused by DAC, debutanized  
11 aromatic concentrate. The set of compounds that are  
12 toxic enough to kill fish, but don't have that chlorine  
13 on them. Some of the things that are showing up in the  
14 wells are chlorinated compounds, compounds that have a  
15 chlorine on them.

16 What that tells us is that there not at least a  
17 long-term connection between that spill and what's  
18 showing up in the wells at the site.

19 That's an important piece of evidence to us,  
20 too.

21 You want true answers to our questions. And you  
22 expect us to be sure. And I think you have a right to  
23 expect that. You have a right to expect us to study this  
24 site as completely as we can and to be honest with you  
25 about what it is that we're finding at the site.

1           We're doing everything in our power to do that.  
2       However, there are limits to certainty, even in science,  
3       in scientific and engineering pursuits. We feel also  
4       obliged to you to tell you what the limits of our  
5       certainty are.

6           But I can speak for the team and for my agency  
7       in telling you that we are doing everything that we can  
8       to make an honest intellectual effort to study the  
9       problems and address them in the most rational way that  
10      we can.

11           Wells around the site and how the contamination  
12      is moving to her wells. Yes. What's been proposed as  
13      part of the pump and treat system is a set of small wells  
14      where, again, that zone of influence or the capture area  
15      of contamination of a well next to another well will  
16      overlap or interlock to form a sort of a barrier, if you  
17      will, to prevent contaminants from coming off the site.

18           That's how the system will be designed to work.  
19       And we wanted monitoring in place to ensure that it works  
20      that way. And if it doesn't work that way, we'll go back  
21      to the company and make them improve it.

22           And I am sorry to hear that Mrs. Foley is in the  
23      hospital in Iowa City. I have not had the pleasure of  
24      meeting her. But I sincerely was looking forward to  
25      meeting her and talking to her about some of these things

1 tonight.

2 When water is pumped out to the Mississippi  
3 River, will it kill fish there? No. What is going to be  
4 part of the design for the pump and treat system at  
5 Chemplex facility is that the contaminated ground water  
6 will be removed from the aquifer beneath the site.

7 What will happen to it then is it will go to a  
8 treatment facility that will be built specifically to  
9 safely remove those contaminants and see that they are  
10 disposed of properly. And clean water, within the  
11 definition of State of Iowa's discharge requirements, can  
12 then be discharged to the river.

13 And it would be under the terms of the existing  
14 treatment permit for the plant. And the State of Iowa is  
15 in the process right now of reviewing the NPDES permit  
16 limits for the existing plant.

17 And it's my impression that they're doing a good  
18 job and that those are pretty tight limits. And that  
19 they are set to protect water quality standards in the  
20 river. And the ultimate effect on fishing, the reference  
21 was to killing fish in the river, will not occur assuming  
22 that those limits are met.

23 And, as I said, there is a federally enforceable  
24 program to see that those limits are met.

25 Is that accurate, gentlemen from the State?

1                   MR. HAAGE: Yes.

2                   MR. SMITH: Other sites that you have told us  
3                   about that we have not discovered, I have been involved  
4                   with at least -- well, are you per chance referring to  
5                   the -- what we have called the DuPont/Todtz site where  
6                   there is a reference to a tanker having been buried at  
7                   one time?

8                   Or is there a different --

9                   MR. HINTZ: That's one of them.

10                  MR. SMITH: Okay. That one is one that was  
11                  raised. And I don't remember what the forum was. But I  
12                  do know that we, in response to that concern, did an  
13                  investigation looking for that tanker. We worked with  
14                  the people that we could find who had specific  
15                  information about where it was buried.

16                  We did trenching in the area to try and find it.  
17                  And we did -- didn't we do magnetometer geophysical  
18                  testing to try to locate it, and I think made an  
19                  exhaustive search and never found it. That's not to say  
20                  that there isn't something out there somewhere.

21                  But, based on the best information and our best  
22                  efforts, we were not able to find it.

23                  If you have any specific information, anymore  
24                  information, any information you don't feel like we have  
25                  sufficiently pursued, I would like you, if you could, to

1       please put that in writing to the extent that you can  
2       give us maps or statements from yourself and other people  
3       who are familiar with it.  
4

5       The best documentation that we can get, we will  
6       try and pursue it or have the company pursue it. But we  
7       need the best hard information that we can in order to be  
8       able to respond to that.  
9

10      And then there were three portions of the  
11      comment that I have not responded to -- and, ma'am, I'm  
12      sorry. I don't remember your name.  
13

14      MS. AUSTIN: Jean Austin.  
15

16      MR. SMITH: Jean Austin. Okay. Thank you.  
17      That you had referred to. One was other ways of exposure  
18      to the compounds, for example, bathing. And that is a  
19      good point.  
20

21      In the -- what we're getting to there is  
22      individual drinking water supplies where you all have  
23      seen some trichlorethylene in the wells. There are two  
24      primary routes of exposure that one is concerned about  
25      with that.  
26

27      One is ingestion from drinking the water. The  
28      other would be in showering for instance, because the  
29      compounds as I said, are volatile. They can evaporate so  
30      that when showering some vapors can be generated and in  
31      and enclosed space, that could, over a long period of  
32  
33

1 time, pose a hazard.

2 It is my understanding and correct me if I am  
3 wrong, that in setting the MCL, that is the Maximum  
4 Contamination Levels, in setting this magic number of  
5 five that you have heard about, that there is enough  
6 buffer in there so that the route of exposure is also  
7 considered and covered. And so that's the best response  
8 I can give to that.

9 The sum of the parts -- what you refer to is  
10 correct and that is that if there are cases where there  
11 are multiple different types of compounds that one is  
12 exposed to, sometimes the effect of that exposure can be  
13 worse than the additive individual effect of an exposure  
14 to any one.

15 There is, again, a fancy name for that called  
16 synergy, synergistic effects. What our results show from  
17 the private wells that were sampled were that there was  
18 only one compound of concern detected above the detection  
19 limit, but, again, below this action level of five.

20 And so, as a result, those type of synergistic  
21 effects would not be seen or would not be exhibited. But  
22 that is a concern sometimes at other sites where there  
23 are multiple compounds. And it's one of the reasons why  
24 it's important that the landfill be treated, as we were  
25 discussing tonight, and that the ground water be dealt

1 with at the Chemplex site.

2 And then on the subject of lifestyle, I did not  
3 mean to imply that there was anything different about the  
4 lifestyles of the people that live in the area that we're  
5 talking about.

6 My point, and I think you're probably right,  
7 they're probably typical of the general population, but  
8 the only way to determine what the causes of the cancers  
9 that are occurring is it's a very difficult thing to find  
10 out. But the only way to determine that is to look at  
11 all the potential forms of exposure that any certain  
12 individual might have.

13 And a lot of those things relate to personal  
14 habits that are none of my or anybody else's business,  
15 but would be part of such a health study if one is to be  
16 conducted.

17 To repeat, the use of alcohol, the use tobacco,  
18 occupational exposures, the use of certain types of  
19 pesticides, family heredity. There are probably a dozen  
20 other factors that I haven't named that would have to be  
21 considered.

22 And even then, after all that data is collected  
23 and people are followed for a number of years, there is  
24 still a high degree of uncertainty about what the cause  
25 contributing factors were to the cancers or the

1 prevention of cancers for that matter.

2           Each of you read once a week in the paper about  
3 some new study in the Journal of the American Medical  
4 Association and elsewhere about new compounds that either  
5 contribute to or seem to prevent the formation of  
6 cancers. And there are different cancers, it's my  
7 understanding, among different peoples.

8           There are different contributing factors to  
9 different ones. And it is a frightening thing. I would  
10 not stand up here and tell you that it's not. I think  
11 it's of grave concern to all of us.

12           But it is -- I just need to put it in that kind  
13 of a perspective.

14           And, as I say, the letter requesting this type  
15 of a health study will be given consideration. I am  
16 sorry we didn't get it earlier so that we could have had  
17 a response to you tonight.

18           The other, while I am on the subject of health,  
19 the other couple of things I should mention, I think, are  
20 that what's called a risk assessment or endangerment  
21 assessment that focuses on health has been done for the  
22 Chemplex site.

23           It is part of the documents that are available  
24 in the library. It is part of the RI/FS; the Remedial  
25 Investigation and Feasibility Study. It is a thorough

1 exhaustive look by professionals based on the best  
2 information that's available to them and to us as to what  
3 the potential threats from the site are.

4 And you can read in there about the  
5 carcinogeneity of different compounds. You can read in  
6 there about what some of the synergistic effects perhaps  
7 might be. And what it does is it looks at the possible  
8 routes of exposure from these areas to people and the  
9 potential risk that's posed by them.

10                   What the study basically finds in its  
11 conclusions are that, yes, there are some toxic compounds  
12 on the site. Yes, some releases have occurred and  
13 continue to occur. But they are limited in their area.

14 They are limited to the inoperative and  
15 operative portions of the plant site itself, the plant  
16 grounds, and to the ground water that we have already  
17 talked about is contaminated beneath and immediately  
18 adjacent to the site.

19                   And that there is enough threat if nothing is  
20                   done, posed by those contaminants to justify spending  
21                   many millions of dollars to do this clean-up. Otherwise,  
22                   all this wouldn't make sense.

23                   But what that is it's a look into the future.  
24                   It's a look down the road that if nothing were done, what  
25                   could possibly happen at this site? It tries to

1 speculate. And in that speculation, it shows that there  
2 would be a potential threat down the road if nothing were  
3 done.

4 Hence, there is a need to do something today.  
5 And the remedy that we're bringing to you tonight is our  
6 attempt to describe that in the most complete, but  
7 simple, terms that we can.

8 There has also been a two-county health study  
9 that, I think, was done either by the State Division of  
10 Health or by the cooperation of the two county health  
11 departments that did a survey and evaluation of, I think,  
12 cancers in the area.

13 The gist of the results of that, as I understand  
14 it, did not really shed any light unfortunately on the  
15 problems that are in this area. But that study was done  
16 and some of that information may be useful to others who  
17 attempt to do something similar to that in the future.

18 Is that accurate, based on what you know?

19 MR. JOYCE: Yes, that's accurate.

20 MR. SMITH: Okay. Thank you.

21 Were there any other comments that I missed and  
22 did not at least try to address?

23 MR. BARK: Yes, I have one.

24 MR. SMITH: Yes, sir.

25 MR. BARK: My name is Jim Bark. I'm a resident

1 out there.. My concern, like Lynn's is is about that  
2 shallow water. Because at one time, they had a little  
3 lake out by us. They pumped that lake and it dried up my  
4 well. I don't know if it dried up anybody elses, but it  
5 did dry mine up.

6 Arsenic was found in my well and my concern here  
7 tonight is with the Chemplex monitoring.

8 I don't see why they couldn't put a series of  
9 wells down there right now to test the shallow water.  
10 With the State here I know they got plenty of stuff out  
11 there.

12 And all it takes is to go down thirty of forty  
13 feet. They could check that once every three or four  
14 days and make sure contaminants aren't moving toward  
15 other places or my place.

16 MR. SMITH: Okay. Thank you. Again, two parts  
17 to that. And I would like some help in addressing this  
18 one. Why don't we address the second one first. That  
19 would probably make the most sense.

20 Testing shallow wells at the site. There are a  
21 number of monitoring wells that are in existence at the  
22 Chemplex facility on the perimeter of the Chemplex  
23 facility.

24 Do I recall correctly that there are some in the  
25 process of being added or is that not correct?

1 MS. JOHNSON: There will be some added. Right  
2 now, there are quite a number of wells on the Chemplex  
3 facility. And we have found the edge of the  
4 contamination at the Chemplex facility.

5 There are actually some wells that are clean  
6 there that are being monitored.

7 MR. BARK: Are they south of the site, Nancy?

8 MS. JOHNSON: Yes. They are. They are south  
9 and east of the site.

10 MR. BARK: They are south of the landfill?

11 MS. JOHNSON: Right.

12 MR. BARK: Are they being monitored for  
13 chemicals?

14 MS. JOHNSON: Right. They are being monitored  
15 for chemicals.

16 MR. SMITH: And the reason they are located  
17 where they are at is that that is known to be the  
18 direction of ground water flow. So if contaminated  
19 ground water were to migrate off the site, it would go in  
20 that direction. And these wells would see it, so to  
21 speak.

22 MR. BARK: When, before it would migrate?

23 MR. SMITH: Yes.

24 MS. JOHNSON: We'll see it at the wells that are  
25 already there before we would see it at wells down

1 gradient.

2                   The wells that I am talking about are actually  
3 closer to the Chemplex facility than the wells you're  
4 talking about. And we haven't seen contaminants migrate  
5 off the site at that point.

6                   MR. BARK: So in other words what you are  
7 telling the audience is that contaminants are not  
8 migrating off the site.

9                   MS. JOHNSON: Well, they have not migrated past  
10 a certain point on the facility. They have not reached  
11 any residential wells.

12                  MR. SMITH: Shall we put the map up here? Can  
13 somebody get the map for us?

14                  MR. BARK: Yeah, let's see the map.

15                  MS. JOHNSON: We do have wells all around this  
16 area outside here. We actually have clean wells that are  
17 out around this area.

18                  Your property is located --

19                  MR. BARK: They are testing wells. Is that what  
20 you are talking about?

21                  MS. JOHNSON: Yes. They're monitoring wells.

22                  MR. BARK: Who is testing them?

23                  MS. JOHNSON: They are being tested by the  
24 company and we collect split samples of those.

25                  MR. BARK: You mean they are being tested by

1 Chempex?

2 MS. JOHNSON: By ACC/GCC.

3 MR. HINTZ: And these wells are south of the  
4 creek?

5 MS. JOHNSON: Yes. There are wells south of the  
6 creek.

7 MR. SMITH: The other part of the question had  
8 to do with -- and forgive me for not introducing you  
9 earlier -- but you are Mr. James Borota, and you are a  
10 city councilman?

11 MR. BOROTA: No. I'm Mr. Borota.

12 MR. SMITH: I'm sorry. Here he is. You're Mr.  
13 Barton. No, excuse me, you are Mr. Bark. Yes, I'm  
14 sorry, Mr. Bark.

15 MR. BARK: Bark, that's right.

16 And I am a resident down there and my well was  
17 contaminated.

18 MR. SMITH: Well, your well was contaminated  
19 with arsenic and as part of the DuPont -- okay. Let me  
20 back up and bring the rest of the folks up to speed on  
21 this.

22 There is a site, as most of you probably know,  
23 near Chempex, the former Todtz farm where DuPont  
24 operated an industrial waste landfill adjacent to the  
25 municipal landfill.

1           And arsenic concentrations were found in the  
2 ground water below that landfill in some significant  
3 concentrations. And your well, it is my understanding,  
4 was close enough that it was not contaminated with unsafe  
5 levels by the time it was replaced, but did have traces  
6 of arsenic in it and since has been replaced.

7           Is that correct?

8           MS. JOHNSON: That's correct. It had a  
9 concentration of 30 parts per billion and the MCL for  
10 arsenic is 50.

11           MR. SMITH: Again, the magic number, the action  
12 level is 50. So, there again, it's a problem that was  
13 caught in time hopefully.

14           And that -- so my point of pointing out that  
15 that's a different site is that they are far enough apart  
16 that there is not significant interaction, we think,  
17 between the contaminants from the two sites and the  
18 ground water.

19           MR. BARK: But again, you said that the shallow  
20 water beyond the landfill is being monitored.

21           MR. SMITH: Yeah. It is being monitored. We  
22 established that.

23           MS. JOHNSON: It is being monitored. There are  
24 shallow wells and deep wells.

25           MR. SMITH: Okay. And there was another

1 comment, and was it yours, that when someone pumped a  
2 pond nearby, your well went dry?

3 Whose comment was that? Was that yours?

4 MR. BARK: That was mine.

5 MR. SMITH: Okay. And I don't -- I'm not -- can  
6 you tell us a little bit more about that.

7 MR. BARK: It was the pond next to my farm. And  
8 when they were pumping out the water, my well went dry.

9 MS. JOHNSON: Was that Van Dixon Lake?

10 MR. BARK: Yeah.

11 MR. SMITH: Fortunately, Ms. Johnson is also the  
12 project engineer for the DuPont site. So we have a  
13 wealth of knowledge here with us tonight.

14 We'll make a note of that. And I haven't  
15 brushed up on all the hydrogeology in that area, but  
16 we're making a note of that. And we will respond to you  
17 about that, but I'm not sure it will be part of the  
18 Responsiveness Summary or this record. But we will  
19 respond to it.

20 Yes, Councilman Borota.

21 Could you come up to the microphone, or just  
22 speak loudly.

23 MR. BOROTA: I just wanted to know about  
24 something from the earlier discussion. We have shallow  
25 and deep water wells. You say you are monitoring

1 individual wells or stations at different levels at the  
2 site.

3 MR. SMITH: Well, both has happened over the  
4 last year, ten years. The monitoring wells that Nancy  
5 described earlier that are on and near the plant property  
6 that she just described are monitored, analyzed,  
7 checked --

8 Quarterly, is that right? Or semi-annually,  
9 quarterly?

10 MS. JOHNSON: Quarterly.

11 MR. SMITH: Then the individual wells that a  
12 number of the people have raised concerns about have been  
13 sampled on a regular basis, not by us but by the  
14 cooperation of the University Hygienics Lab and the  
15 County Health Department over the last two years.

16 And maybe Mr. -- I'm sorry, is it Rick Kelley?

17 MR. KELLEY: Yes.

18 MR. SMITH: Can you give us a little more  
19 specifics about that?

20 MR. KELLEY: Well, there aren't many specifics  
21 to give. The University Hygienics Lab is part of the  
22 University of Iowa. We share the concerns of the local  
23 residents of the potential effects of the contamination  
24 of the ground water.

25 Beginning in February of 1990, working with the

1 local county health departments, we began monitoring the  
2 wells in the immediate vicinity of the complex just to  
3 determine what sort of exposure might be seen out there  
4 and to enable us to determine whether or not there was  
5 going to be any fluctuations in that type of exposure.  
6 And if concentrations were increasing, we wanted to know  
7 that and know it early on and be able to inform those  
8 people.

9 So we have been monitoring on a quarterly basis  
10 each of those wells. Hopefully, my understanding is  
11 anyway, that each of you has been getting the results on  
12 a regular basis. As well as providing that information  
13 to the local county health department.

14 We have every intention of continuing that for  
15 the foreseeable future. We have no cutoff date. We will  
16 continue to monitor it until we're assured that, in fact,  
17 the situation is being handled satisfactorily.

18 MR. SMITH: Thank you. Yes, ma'am. What's your  
19 name?

20 MS. LE DOUX: I'm Elaine Le Doux. I have  
21 received the letter just yesterday. There is still TCE  
22 in my well, but it's suppose to be at a safe level --  
23 whatever that's suppose to mean.

24 MR. SMITH: Mr. Kelley, are you familiar with  
25 the results from Ms. Elaine Le Doux's well?

1                   MR. KELLEY: From when?

2                   MR. SMITH: You said you received your letter  
3                   yesterday?

4                   MS. LE DOUX: Yesterday.

5                   MR. KELLEY: As a matter of fact, I brought the  
6                   last set of analysis with me. Le Doux? You do have some  
7                   low concentrations of total organic and thridium (ph).  
8                   Those are apparently the only two that we're picking up  
9                   at this point.

10                  MS. LE DOUX: It said something about TCE, too.

11                  MR. KELLEY: TOC. Total organic carbons.

12                  MR. SMITH: And that's something different from  
13                  TCE. Were those analyzed for the halogenated organics?  
14                  Excuse the technical jargon.

15                  MR. KELLEY: Yes.

16                  MR. SMITH: I'm including PCE, TCE and they  
17                  didn't show up above the detection limit, is that what  
18                  I'm --

19                  MR. KELLEY: That would be correct. We did pick  
20                  up, in one particular well, it picked up a number of  
21                  hydrocarbons, benzene, xylene. Looking at the  
22                  composition of the detects in that well, it looked like  
23                  somebody spilled some gasoline. The rest were all below  
24                  detection.

25                  MR. SMITH: Okay. So no TCE, but some BTEX.

1 The other source of the BTEX that I referred to earlier  
2 and as he alluded to earlier can be gasoline, gasoline  
3 spills. But this analysis apparently didn't have any TCE  
4 in it this time.

5 MS. LE DOUX: That's not what it said on mine.  
6 It said it was a low concentration. But he mentioned it.  
7 Dr. Cherryholm (ph) mentioned it.

8 MR. SMITH: Dr. Cherryholm, in his letter, he  
9 mentioned it in the cover letter?

10 MS. LE DOUX: Yes, he did.

11 MR. SMITH: What I would like to do is go back  
12 and we will check -- we'll request copies of that data  
13 transmittal and that letter from University Hygienics Lab  
14 and then respond to that.

15 Did you bring the letter with you where we can  
16 take a look at it?

17 MS. LE DOUX: No, I didn't bring it with me.

18 MR. SMITH: We'll get a copy of it either from  
19 you or from them and respond to that in the comments for  
20 the meeting tonight.

21 Okay. Is there anyone else who came after the  
22 City Council meeting or otherwise that would like to be  
23 introduced or would like to make any kind of a statement  
24 while I am here?

25 Yes, ma'am.

1                   MRS. PAYNE: This isn't in reference to the  
2 safety of ground water but I was just curious, was there  
3 ever any problem as far as those little beads?

4                   Back in the seventies, when we lived out there,  
5 they used to haul all the polyethylene out to the  
6 landfill and John Doty's. And we used to have the  
7 plastic beads all over. I'm just curious about it. They  
8 would be all along the roadway and in our yard and it  
9 looked just like snow.

10                  And the animal residue -- the wild animals left  
11 around there had these pellets in their, you know --  
12 number two.

13                  Was there ever any problem with that stuff, all  
14 those beads being hazardous to the residents out there?

15                  MR. SMITH: Can you address that? That's not  
16 something I am specifically familiar with.

17                  There also are some --

18                  MRS. PAYNE: Well, it's closed up now.

19                  MS. JOHNSON: The John Doty landfill?

20                  MRS. PAYNE: Yeah, that's right. Up at the end  
21 of the street almost. There was a lot of it I was  
22 curious about it.

23                  MR. SMITH: Let me ask the person who knows the  
24 most about it.

25                  MS. JOHNSON: You know, as far as the

1 polyethylene beads themselves, we have never known of  
2 them as causing any health hazards. These wastes we're  
3 talking about are wastes that are part of the process not  
4 the product.

5 But we don't know that polyethylene itself as  
6 being a hazardous substance.

7 MR. SMITH: It's basically the same material  
8 that's -- I'm sorry.

9 MR. HINTZ: (inaudible)

10 MR. SMITH: Mr. Hintz, if you could just talk  
11 loud enough so I can hear you and so we can respond to  
12 the --

13 MR. HINTZ: Oh, so she says these beads are not  
14 toxic.

15 MS. JOHNSON: Polyethylene is not known to be a  
16 hazardous substance.

17 MR. HINTZ: In other words, I could scatter it  
18 around my yard, and in the sandbox and let my grand kids  
19 play in it safely, right?

20 MS. JOHNSON: Well, I don't know if you would  
21 want them swallowing it.

22 MR. HINTZ: Well, yes or no. Yes or no. Is it  
23 or isn't it?

24 MS. JOHNSON: Well, not from a contaminant  
25 standpoint, but I don't think you would want them

1       swallowing a bunch of it.

2            MR. HINTZ: Then it is harmful.

3            MS. JOHNSON: Well, I mean, just like any -- you  
4        wouldn't want your kids, grand kids swallowing any  
5        plastic beads.

6            MR. HINTZ: It's either harmful or it isn't. It  
7        should either be put in the dump or it shouldn't be put  
8        in the dump, which is it?

9            MR. SMITH: Well, what you're talking about,  
10       it's my understanding, is the -- are they high density,  
11       low density polyethylene beads?

12           MR. HINTZ: Well, it's been a few years ago.

13           MR. SMITH: It's my understand that that's a  
14       product that's one step away from being turned into a  
15       finished plastic, is that correct? In other words, it's  
16       a consumer item.

17           MS. JOHNSON: It's a product.

18           MR. SMITH: It's a product that's readily used.  
19       And now days recycled. And maybe there is someone from  
20       the company who can address this as to what they are used  
21       for and ways in which they are in common use.

22           Anybody have any ideas? Steve or anybody?

23           No comments. Okay, yes sir.

24           MR. BOROTA: I have one other comment from an  
25       earlier comment I heard about pumping water that is

1 suppose to be clean back into the river. Are they allow  
2 to pump a certain amount according to the flow of the  
3 river to make it legal?

4 Another company put in the gauging station to  
5 monitor the flow of the river and would dump according to  
6 the flow of the river? Is this going to be the same kind  
7 of situation to make it all legal?

8 MR. SMITH: I don't know about how specifically  
9 how the NPDES permit is written or will be written. Do  
10 you, Lavoy or Cal, from the State's standpoint, I know  
11 that's not your program area. But you might know.

12 MR. HAAGE: Yeah. I'm not familiar with how  
13 they propose to do it now. But that could be a  
14 possibility.

15 MR. SMITH: We're talking about, would the  
16 discharge be to the Mississippi River or would it be to  
17 the tributary?

18 MS. JOHNSON: It would be to the Mississippi  
19 River. And it would be either through the permanent  
20 discharge from Quantum or some other discharge that would  
21 have to go through the same process.

22 Through the permit, there are certain levels  
23 allowed.

24 MR. BOROTA: What I'm saying is that they could  
25 possibly use the river to their advantage. Every time

1 the river is high, they're allowed to dump more into the  
2 river to contaminate it and get rid and that's what I'm  
3 concerned about.

4 MR. SMITH: Bob Schuler is here from Quantum,  
5 who is familiar with their existing permit and their  
6 plant operation. Can you shed any light for us on that,  
7 Bob?

8 MR. SCHULER: I can. The NPDES permit is in a  
9 majority of cases is not related to flow. It's related  
10 to concentration and does not take into account the river  
11 flow. It is based on the lowest flow that you can get,  
12 ensuring that you don't exceed a worst case at the lowest  
13 river flow.

14 MR. BOROTA: But you release according to the  
15 flow of the river, right?

16 MR. SCHULER: No. That is not what I said.

17 MR. SMITH: Yes. Mr. Hintz.

18 MR. HINTZ: How many GPM gallons have you dumped  
19 in the river now, may I ask?

20 MR. SCHULER: It's variable. The average  
21 permitted flow is about 2.1 million gallons a day.

22 MR. HINTZ: And is that the maximum that you can  
23 dump into the river?

24 MR. SCHULER: No. It's not the maximum.

25 MR. HINTZ: Is it monitored, that water that you are

1 dumping in now?

2 MR. SCHULER: Yes.

3 MR. HINTZ: Do you ever get into the outlet of  
4 the river where it goes in?

5 MR. SCHULER: I don't understand.

6 MR. HINTZ: When your sewer line or whatever you  
7 call it goes into the river, have you ever monitored  
8 beyond that point?

9 MR. SCHULER: The monitoring point is where the  
10 water goes into the pipe that goes into the river.

11 MR. HINTZ: Do you ever monitor that pipe where  
12 it dumps into the river?

13 MR. SCHULER: It has been. But, not recently.

14 MR. HINTZ: I think you should. I've been down  
15 there within the last half a year. It's terrible.

16 MR. SCHULER: That simply is not true.

17 MR. SMITH: If there were some follow-up  
18 questions on the discharges to the river to be pursued  
19 with Iowa Department of Natural Resources, who would Mr.  
20 Hintz or other people contact?

21 MR. HAAGE: Probably Wayne Farrand.

22 MR. SMITH: Wayne Farrand. Could you spell that  
23 for us, please?

24 MR. HAAGE: F-A-R-R-A-N-D.

25 MR. SMITH: Wayne Farrand at IDNR. That's what

1 I'm understanding would be the person to follow up on  
2 that.

3 Okay. Any other questions or comments?

4 Yes, sir. Could you please identify yourself?

5 MR. MENSINGER: Yes. My name is Robert  
6 Mensinger (ph). I came in late. I read in the paper the  
7 chemicals, chlorine, naphthalene, pyrene, xylene. How  
8 are these chemicals synthesized at this facility. These  
9 are typically coal tar derivatives.

10 MR. SMITH: Right. Maybe someone can explain  
11 how in the process these come to occur and are generated  
12 as part of the waste, or in the process Chemplex used.

13 MR. MENSINGER: I think another was anthracene.

14 MR. SMITH: Right. The PAH's.

15 MR. MENSINGER: These are typical coal tar  
16 compounds.

17 MR. LUNDBERG: Yeah. But they are also found in  
18 many cases where you have combustion or cracking  
19 processes also. It's not exclusively coal tar.

20 MR. MENSINGER: How could you have all that  
21 breakdown.

22 MR. LUNDBERG: But it's not all breakdown. Some  
23 of that is synthesized.

24 MR. MENSINGER: Anthracene is pretty heavy  
25 stuff.

1                   MR. LUNDBERG: Yes. It is. Xylene is not one  
2                   of those compounds, by the way.

3                   MR. MENSINGER: I did see it in the paper.

4                   MR. LUNDBERG: Well, it may be in the paper, but  
5                   xylene is not one of the PAH's.

6                   MR. SMITH: Maybe there is somebody -- I'm  
7                   sorry. I just wanted to try and get us some help from  
8                   somebody from the company who may be more familiar with  
9                   the process.

10                  Steve. Or somebody from Quantum. Bob, are you  
11                  familiar with the process to know how the PAH's were  
12                  generated in the waste initially?

13                  MR. SCHULER: There were trace quantities  
14                  generated by the cracking process. As I have already  
15                  said, any time you have combustion or a breakdown of  
16                  hydrocarbons it generates more. They're generated in  
17                  your internal combustion engine in your car. They're  
18                  generated when you burn wood in your fireplace.

19                  MR. SMITH: So what are they cracking to make  
20                  this -- is it petroleum?

21                  MR. SCHULER: It's gases. Methane, propane  
22                  primarily.

23                  MR. SMITH: Gas, natural gas.

24                  MR. SCHULER: No. It's not exactly natural gas.

25                  MR. SMITH: Okay.

1                   MR. MENSINGER: I would like to see an equation  
2 for that. What are the limits of this stuff? And have  
3 they been exceeded. Were they toxic or have they  
4 exceeded the limit that is allowable?

5                   MR. SCHULER: You are referring to the location  
6 of the waste?

7                   MR. MENSINGER: Well, where ever these chemicals  
8 were.

9                   MR. SCHULER: They are part of the process.

10                  MR. MENSINGER: Anthracene?

11                  MR. SCHULER: Yes.

12                  MR. MENSINGER: No, it's not.

13                  MR. SMITH: Okay. Any other questions or  
14 comments?

15                  Yes, sir.

16                  MR. MURPHY: I guess I've got one here. I am  
17 Alan Murphy. And I am representing the Clinton County  
18 Isaac Walton League, and I am also one of the residents  
19 of the area.

20                  I heard tonight the main concern from my  
21 neighbors out there and that is basically what are we  
22 drinking that's going to kill us? And Chemplex is saying  
23 nothing. DuPont -- a couple of years ago, we went  
24 through the same procedure we're going through now. And  
25 they said nothing.

1           With the exception of a little bit of arsenic  
2           showing up here and a little bit of TCE showing up there.  
3           And we've also now got another company to our north  
4           that's right now got some pretty nasty ammonia spills  
5           coming out upon the surface of the ground which the DNR  
6           is aware of.

7           We were out last February, I believe it was. We  
8           took soil samples and so forth. And it was a rather  
9           alarming amount of ammonia being generated out of the  
10          ground at two different points on the John Doty farm.

11          Basically I guess is what I am trying to say is  
12          we can't point out finger at the people at DuPont. We  
13          can't point our finger at the people at Chemplex. We  
14          can't point it at Arcadian. We can't point it at the two  
15          sanitary landfills that are on either side of us.

16          But between the five sites, we do have some  
17          problems out there or we wouldn't be here tonight, any of  
18          us, if there wasn't problems in the area.

19          And it seems to me, and I asked for in my letter  
20          on the DuPont clean-up, was looking at what was the  
21          possibility of getting us some city water so that even  
22          though we're held hostage in the area because of the land  
23          values diminished over the years from the adverse  
24          publicity of all these Superfund sites and that, at least  
25          we can be provided with clean water.

1                   And it seems to me it isn't DuPont's problem.  
2                   It isn't Chemplex's problem. It isn't Arcadian's  
3                   problem. It's everybody's problem. Everybody who's  
4                   involved with the landfill sites around there.

5                   I visited with the city council on this. And  
6                   they said, well, yeah, we'd really like to get clean  
7                   water out there. But the city can't afford to get it  
8                   there.

9                   Well, it seems to me a combined effort could be  
10                  generated through these hearings and maybe get something  
11                  out there to us so at least we know we're drinking clean  
12                  water out there.

13                  We're just going to have to live with being held  
14                  hostage as far as being able to ever sell our properties  
15                  out there because the publicity from just hearings like  
16                  this would deter anybody from coming and buying.

17                  But at least we would have controlled quality  
18                  water coming to us and we wouldn't be guessing every  
19                  three months now. They sample our water every three  
20                  months and it's been greatly appreciated. It's  
21                  approximately 30 days after they sample that we get the  
22                  results back. And we've got a four month exposure  
23                  between samplings that we could be ingesting something  
24                  harmful.

25                  And we have heard tonight -- you know, Jim's

1 well showed up 30 parts per million or billion of  
2 arsenic. And I visited with Peter Cicero, of the  
3 Hygienics Lab on this.

4 And he says, today 50 parts is considered  
5 hazardous to your health. But there's nothing saying  
6 that five years from now, 20 parts isn't going to be  
7 proven to be hazardous to your health. These are unknown  
8 figures.

9 Your brought it up earlier that, to the best of  
10 anybody's knowledge today, yes, these are the figures  
11 that we can safely ingest. But five years from now, we  
12 might say, whoops, we shouldn't have ingesting half of  
13 this amount.

14 So, like I say, I requested in my letter that we  
15 sent to Washington, D.C. to the judge on the Dupont  
16 hearing and it will be incorporated in my letter again.  
17 But I think some harmony ought to be set up between the  
18 parties that are responsible for these hazardous waste  
19 sites and get us something safe to drink.

20 At least we can have that much out there.

21 Thank you.

22 MR. SMITH: Thank you.

23 AUDIENCE: And we shouldn't have to pay for it  
24 either.

25 MR. SMITH: Let me address again the multiple

1 comments. I appreciate that.

2 MR. HINTZ: I got one more thing to say.

3 MR. SMITH: Okay.

4 MR. HINTZ: Everybody involved out there can do  
5 what I did. I've been paying taxes, a big share of money  
6 for 30 years. And I just sold my house, my property for  
7 \$1,200 cash.

8 How would you like to sell your house for  
9 \$1,200? How would anybody like to. There is nobody out  
10 here in that area can't afford to give away a house like  
11 I did.

12 The year after my wife died, a little bit after  
13 a year, I remarried. And I live in Clinton now.  
14 Hopefully, I'm drinking clean water. But I still have  
15 feelings for my area down there.

16 MR. SMITH: Okay. Let me --

17 MR. HINTZ: But I have been paying all these  
18 taxes all along.

19 MR. SMITH: Okay. Let me respond to Mr. Murphy  
20 first and then we'll get to that one.

21 A number of issues you raised regarding the  
22 company to the north with ammonia spills. And I had  
23 inferred when you were talking about that that it was  
24 Arcadian.

25 And in ammonia that had showed up on the John

1 Doty farm, that's the same place where the beads were  
2 reported to be disposed of?

3 MRS. PAYNE: Yes.

4 MR. SMITH: That's spelled D-O-T-I-E?

5 MRS. PAYNE: D-O-T-Y.

6 MR. SMITH: D-O-T-Y? Okay. Now, the State and  
7 EPA split up lead on a number of these sites. And most  
8 of the work on Arcadian has been done by IDNR to date.  
9 But I'm not sure that they have the people here who are  
10 familiar with and who have worked on that site.

11 Can either of you address --

12 MR. LUNDBERG: The field office --

13 MR. MURPHY: Jim Seevers went to the field with  
14 me. He wrote me a letter, I want to say last -- I want  
15 to say April or May. And, in his letter, he said that he  
16 was referring anything further to a gentleman that was  
17 working directly with Arcadian now and that he would be  
18 getting in touch with me as far as what was happening in  
19 that over there.

20 This was actually to the Isaac Walton League  
21 versus myself personally. I am president of the Isaac  
22 Walton League, so he was communicating with me. But at  
23 this date, I have had no response from them.

24 MR. LUNDBERG: Well, there is miscommunication  
25 there because I am "that gentleman".

1                   MR. MURPHY: Well, Jim said you would be getting  
2 a hold of me and letting me know what --

3                   MR. LUNDBERG: We are working with Arcadian to  
4 investigate Arcadian's ground water problems. That's  
5 still in its infant stage right now.

6                   MR. MURPHY: Okay. Well, see, that flow -- I  
7 don't know if you've been over and examined it or not,  
8 but that flow is draining directly in a rather large  
9 stream of water and is flowing out all the time directly  
10 into Rock Creek.

11                  And the Isaac Walton League was looking at some  
12 marsh land down there and possibly purchasing that. And  
13 we got in contact with your organization to see if there  
14 could be any adverse effect to the wildlife and so forth  
15 in that marsh area with the amounts that were coming in.

16                  And evidently the pollution rate is keeping it  
17 from being harmful at this point. But there is one area  
18 that's half the size of this room that's completely  
19 devoid of vegetation at all. And running the stream  
20 probably -- at the time we were there, about four, four  
21 and a half inches wide and it appeared to be a half inch  
22 deep directly into the creek.

23                  The other area, you could put about three or  
24 four rooms like this in. Now, that's directly to the  
25 south of the railroad tracks. There is probably a buffer

1 zone of about 100, 150 feet to the railroad tracks to  
2 where this ammonia is bubbling out of the ground and  
3 entering directly into Rock Creek.

4 And that's a major concern.

5 And that's why we're anxious to hear something  
6 and see what is involved here. Now, in the meanwhile,  
7 we're out of the picture as far as purchasing any of that  
8 marsh. We have an active interest in the property.

9 But, still, it's in the general area where I  
10 live. It's also a fantastic wildlife area for the area  
11 and we hate to see something like that go unchecked.

12 MR. LUNDBERG: If you want to, we can talk about  
13 that afterwards.

14 MR. MURPHY: Very good.

15 MR. SMITH: Thank you. Your next point was what  
16 about getting some city water out there through a  
17 combined effort of the companies and the landfill  
18 operators and the residents.

19 The short answer is that's probably not a bad  
20 idea. That's a pretty good idea. But I can't say that  
21 in my role necessarily as an official from Superfund  
22 because we don't have the legal authority to either do  
23 that or require the companies to do that or to require  
24 you as individuals to do that because the levels of  
25 contamination that we're seeing there are not high enough

1 to trigger that kind of an action.

2 As we have said, they are below any of our  
3 established action levels. But it sort of ties in with  
4 your next point, which is that from time to time, new  
5 health effects data does come out. And we have to review  
6 that data and revise our action levels, either up or  
7 down, depending on the new data shows.

8 And sometimes they go up, sometimes they go  
9 down. We can't predict at this point in time which  
10 direction they're going.

11 And about all I can say is that it would be  
12 prudent for that to be done. In other words, for the  
13 water supplies to be replaced by a safe central supply.  
14 But I'm not in a position to do that for you or require  
15 any of the companies to do that for you at this point.

16 But, to the extent that that could be done  
17 voluntarily, I would think just as a matter of good  
18 engineering practice, it would be a wise thing to try and  
19 consider and to try and do somehow.

20 I appreciate your acknowledgement of  
21 appreciation of the sampling. We, too, appreciate the  
22 efforts of University of Iowa, University Hygienics Lab  
23 in doing that sampling.

24 I want to recognize them for that tonight and  
25 the cooperation on the part of the county health

1 department, which they are not here to thank,  
2 unfortunately. But we appreciate their work, too.

3 I already addressed the issue about how safe  
4 levels can change over time.

5 And then, if that covered all yours, Mr. Murphy,  
6 Mr. Hintz' comment regarding having to have sold property  
7 for \$1,200 is, of course, something that falls into the  
8 same category as the drinking water, an alternate  
9 drinking supply.

10 It's not something, unfortunately, that we have  
11 any legal authority, at this point in time, to do  
12 anything about. So, again, I am sorry about that.

13 But we're limited in what we can do or require  
14 the companies to do in that regard.

15 Are there any other questions or comments? Yes,  
16 ma'am.

17 MRS. PAYNE: How long has the EPA been involved  
18 in monitoring Quantum or Chemplex?

19 MR. SMITH: And you are Mrs. Payne?

20 MRS. PAYNE: Mrs. Payne.

21 MR. SMITH: How long have we been monitoring the  
22 dump sites there? Quantum's and Chemplex's you referred  
23 to.

24 MS. JOHNSON: I know that investigations there  
25 started prior to 1984.

1                   MR. SMITH: When was the site proposed for the  
2                   NPL?

3                   MS. JOHNSON: It was proposed in 1984. So there  
4                   were some limited investigation that took place before  
5                   that to score it on the NPL. It probably started in '82,  
6                   '83

7                   MRS. PAYNE: That's what they had to file to  
8                   take out a dump site there on the Chemplex property, is  
9                   that what you mean? Do they have to get permission from  
10                   you to have a dump out there?

11                  MS. JOHNSON: No. To put the --

12                  MR. SMITH: When that was done, there weren't  
13                  many or any regulations concerning where you put dump  
14                  sites.

15                  MS. JOHNSON: That's right. That was in '67  
16                  when they started dumping waste in that landfill. And  
17                  they dumped waste there until '78. Superfund didn't even  
18                  come about until 1980. And RCRA didn't come about till  
19                  then either.

20                  MR. SMITH: Yes, sir.

21                  MR. SNYDER: My name is Jim Snyder. And I am  
22                  just wondering regarding what you just said, Nancy,  
23                  concerning the time frame of the dumping, if you want to  
24                  call it that, occurred. Does that make Skelly or ACC  
25                  civilly or criminally liable for those actions?

1                   Or are we saying that they have no culpability  
2                   then because they violated no federal or state dumping  
3                   regulations that were in place at the time?

4                   MR. SMITH: Well, you have a couple engineers  
5                   answering a legal question. But I will try to do the  
6                   best I can.

7                   The answer is kind of yes and no. What they  
8                   were doing in operating the landfill was, at least as far  
9                   as we know, legal at the time it occurred, back in the  
10                   '70's and even up until the early '80's, perhaps back  
11                   into the '60's.

12                   And this is true of not only this landfill, but  
13                   also the one at DuPont, for instance, that's also come up  
14                   here.

15                   And so, in that sense, what they did was legal  
16                   at the time it was done. If they were to do it today, it  
17                   probably would not be. But the law is not retroactive in  
18                   that sense.

19                   However, Superfund is a unique environmental  
20                   statute in that it reaches back for these older  
21                   facilities and says that if there are hazardous  
22                   substances there that are hazardous enough and a release  
23                   occurs, that the companies that place the wastes there in  
24                   the first place are responsible for doing the studies and  
25                   the clean-up actions basically.

1           There are no punitive measures in the law as  
2           long as the company does that, in cooperation with EPA.  
3           And, hence, there is no criminal sanctions or penalties  
4           that come into it. Unless a company knowingly lies to  
5           EPA or fails to notify of a spill or a release or a dump  
6           site that they know about, then there are potential for  
7           criminal sanctions, penalties.

8           But that's not in any way -- there's no  
9           indication of that here at all. There is another  
10           provision where if companies refuse to voluntarily clean  
11           up the sites, we can order them via a legal  
12           administrative order process to do the clean-ups.

13           If they refuse to comply with that order, then  
14           we have a number of choices. We can go to federal court  
15           to get them -- to compel them under court order to do the  
16           clean-up. We can do the clean-up ourselves and recover  
17           not only the cost of the clean-up, but three times the  
18           cost of the clean-up, plus numerous penalties on top of  
19           that.

20           And there are some other alternatives. But  
21           that's not happening at this site. To date, and we hope  
22           into the future, we will continue to enjoy the  
23           cooperation on the part of the company who has spent a  
24           lot of money doing the studies and the design and the  
25           clean-up work so far.

1           But those are the aspects of the law that we  
2       have available to us. Is that accurate enough?

3           MR. COZAD: Yes.

4           MR. SMITH: Okay. Thank you. Any other  
5       questions or comments? Yes, sir.

6           MR. SNYDER: I have a question about the action  
7       levels that you discussed at the wells that were tested  
8       in the private sector, so to speak.

9           Over the plant site itself in the ground water,  
10       are the test results there, do they indicate  
11       statistically significant levels that would be much  
12       higher than acceptable as far as your minimal allowable  
13       concentrations? Isn't the ground water right over the  
14       Chemplex site, which is now Quantum, are the levels you  
15       discovered there significantly higher?

16           MS. JOHNSON: Yes.

17           MR. SMITH: The levels in the ground water  
18       beneath the site.

19           MR. SNYDER: It truly would represent a health  
20       hazard?

21           MR. SMITH: Yes. If someone were drinking that  
22       water or using it for other purposes, yeah, it would be a  
23       problem. They are well over these MCL's we keep talking  
24       about, the magic numbers or action levels, they're well  
25       over those values.

1                   And that's part of the reason that action needs  
2 to be taken so that years into the future, that won't  
3 spread and contaminate a larger area than it already has.

4                   MS. JOHNSON: That's correct.

5                   MR. SNYDER: So confinement is part of the game  
6 plan?

7                   MR. SMITH: Right. Any other questions or  
8 comments?

9                   MR. BOROTA: What do they do if they do on-site  
10 construction at the facility. What if there is something  
11 in the ground and they know it exists, maybe you guys  
12 don't know about it. They went in there and a  
13 construction worker was in there working and they run  
14 into this, say, fumes coming out all of a sudden and they  
15 breathe it?

16                  MR. SMITH: Well there are two answers to that.  
17 One is that there will be access controls and access  
18 restrictions on the areas at the site that are known to  
19 be contaminated. And it will be the responsibility of  
20 the property owners and the company, that being the city  
21 and Quantum, to ensure that their workers aren't  
22 exposed -- don't get into those things accidentally and  
23 are injured.

24                  That was part of one of the remedies, part of  
25 the selected remedy that I think Nancy had described

1 somewhat earlier.

2 The other part of the answer is that Quantum,  
3 and, here, we probably ought to let Bob Schuler address  
4 it. I assume has some kind of internal health and safety  
5 protocol and rules and controls in place to address that  
6 kind of thing for construction on their site.

7 That's typical in an industrial installation.  
8 but maybe you can probably address it better than I.

9 MR. SCHULER: Quantum does indeed have health  
10 and industrial hygiene programs. Any excavations of the  
11 grounds will be controlled and monitored.

12 MR. SMITH: Does that answer your question?

13 MR. BOROTA: Yes. Thank you.

14 MR. SMITH: Okay. You're welcome. Any others?

15 Okay. As Nancy indicated, if there are any  
16 other questions or comments that occur to you, the  
17 comment period is formally open until February --

18 MS. JOHNSON: 21st.

19 MR. SMITH: -- 21st. So please send them to the  
20 address that's available on the handout that's available  
21 over there.

22 I want to thank you all very much for coming out  
23 and for providing the input and your comments tonight.  
24 It's been a very useful part of the process. I think you  
25 very much.

1                   One more. Hold on.

2                   MR. SNYDER: You mentioned earlier there was  
3                   some other documents here available if we wanted to look  
4                   at the proposed plan.

5                   MS. JOHNSON: That's right. We have the extra  
6                   proposed plans over at that desk.

7                   MR. ARMSTRONG: We also have a explanation of  
8                   the risk assessment process.

9                   MR. SMITH: Thank you all very much for coming,  
10                   and good night.

11                   (Whereupon, at 9:25 p.m., the public meeting was  
12                   concluded.)

CERTIFICATE OF REPORTER

This is to certify that the attached proceedings  
before: ENVIRONMENTAL PROTECTION AGENCY REGION VII

In the Matter of:

PUBLIC HEARING

CHEMPLEX FACILITY  
Clinton, Iowa


Docket Number:

Location: Clinton, Iowa

Date: Tuesday, February 2, 1993

Presiding: Mr. Craig Smith

were held as herein appears and that this is the Original  
transcript thereof for the files of the Department.



Beverly L. Cowan  
Reporter

COWAN REPORTING SERVICES, INC.  
P. O. Box 22690  
Kansas City, MO 64113-2690

(816) 361-1550